

CALIFORNIA ENVIRONMENTAL CONTAMINANT BIOMONITORING PROGRAM  
(BIOMONITORING CALIFORNIA)  
SCIENTIFIC GUIDANCE PANEL MEETING  
CONVENED VIA WEBINAR BY: OFFICE OF ENVIRONMENTAL HEALTH  
HAZARD ASSESSMENT  
CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY  
STATE OF CALIFORNIA

FRIDAY, JULY 16, 2021  
10:00 A.M.

JAMES F. PETERS, CSR  
CERTIFIED SHORTHAND REPORTER  
LICENSE NUMBER 10063

## APPEARANCES

### PANEL MEMBERS:

Megan R. Schwarzman, MD, MPH, Chair

Carl Cranor, PhD, MSL

Oliver Fiehn, PhD

Ulrike Luderer, MD, PhD

Thomas McKone, PhD

Penelope (Jenny) Quintana, PhD, MPH

Veena Singla, PhD

### OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT:

Vince Cogliano, PhD, Deputy Director, Scientific Programs

Sara Hoover, MS, Chief, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Susan Hurley, MPH, Research Scientist, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Shoba Iyer, PhD, Staff Toxicologist, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Stephanie Jarmul, MPH, Senior Environmental Scientist, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Kristi Morioka, JD, Senior Staff Counsel

APPEARANCES CONTINUED

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Jianwen She, PhD, Chief, Biochemistry Section,  
Environmental Health Laboratory Branch

Nerissa Wu, MPH, PhD, Chief, Exposure Assessment Section,  
environmental Health Investigations Branch

DEPARTMENT OF TOXIC SUBSTANCES CONTROL

June-Soo Park, PhD, Chief, Environmental Chemistry  
Laboratory

PRESENTERS:

Ryan Allen, PhD, Simon Fraser University

John Balms, MD, University of California Berkeley,  
University of California, San Francisco

Maggie Clark, PhD, Colorado State University

<u>INDEX</u>	<u>PAGE</u>
Welcome	
Vince Coglianò, PhD, Deputy Director, Scientific Programs, Office of Environmental Health Hazards Assessment (OEHHA)	1
Overview of the Meeting	
Meg Schwarzman, MD, MPH, Chair, Scientific Guidance Panel (SGP)	5
Program Update and Panel Input on Recommendations for the Seventh Report to the Legislature	
Presentation: Nerissa Wu, PhD, California Department of Public Health (CDPH)	8
Panel Questions	21
Public Comment	23
Panel Discussion and Input	25
AB 617 Biomonitoring Update	
Presentation: Susan Hurley, MPH, OEHHA	47
Panel Questions	61
Public Comment	65
Panel Discussion and Input	68
Traffic-Related Air Pollution and Biomarkers of Effect in Children in Fresno	
Presentation: John Balmes, MD, UC Berkeley and UC San Francisco	82
Panel and Audience Questions	95
Afternoon Session	107
Challenges and Opportunities in Air Filtration Intervention Studies	
Presentation: Ryan Allen, PhD, Simon Fraser University, Canada	107
Panel and Audience Questions	128
Biomarkers of Effect in Air Pollution Intervention Studies: Study Design Issues	
Presentation: Maggie Clark, PhD, Colorado State University	138
Panel and Audience Questions	157

INDEX CONTINUED

	<u>PAGE</u>
Afternoon Discussion Session	
Using Biomarkers of Effect in Air Pollution	
Biomonitoring Studies - Issues in Study Design,	
Measurement, and Results Interpretation	
Introduction: Susan Hurley, MPH, OEHHA	166
Discussion with Panel, Guest Speakers, and	
Audience	169
Open Public Comment	214
Wrap-up and Adjournment	230
Reporter's Certificate	231

PROCEEDINGS

MS. JARMUL: Okay. And now I'd like to go ahead and introduce Vince Cogliano, who is the Deputy Director for Scientific Programs of the Office of Environmental Health Hazard Assessment, or OEHHA. Vince is stepping in today to give the welcome on behalf of Lauren Zeise, OEHHA's Director.

DR. COGLIANO: Good morning, everybody. I'd like to welcome the Panel and the audience to this meeting of the Scientific Guidance Panel for the California Environmental Contaminant Biomonitoring Program, better known as Biomonitoring California. I want to thank you all for participating and for sharing your expertise.

The Panel last met on March 8th, 2021 and here's a brief summary of the meeting. After the Program update, the Panel provided input on options for statewide biomonitoring surveillance. The remainder of the meeting focused on the Panel's consideration of the class of quaternary ammonium compounds, also known as QACs, as potential priority chemicals. The Panel's deliberations were informed by guest presentations on increased exposure to QACs during the COVID-19 pandemic, by environmental detections, biomonitoring analytical methods, and safety evaluations, as well as public comment.

The Panel voted unanimously to recommend that the

1 class of QACs be added to the list of priority chemicals  
2 for Biomonitoring California. In making this  
3 recommendation, Panel members highlighted the following  
4 items: significant data gaps in exposure information and  
5 the high potential for exposure in California; detections  
6 of QACs in human blood and urine samples; known and  
7 suspected human health effects; and the importance of  
8 adding the class of QACs to the list of priority chemicals  
9 as production is rising, so we wanted to capture the  
10 trends in exposures.

11 Panel members requested that OEHHA implement a  
12 conflict of interest procedure for guest speakers and  
13 we've done so. So guest speakers are now advised that for  
14 purposes of preparing presentations to the Scientific  
15 Guidance Panel, conflict of interest should be disclosed  
16 if they, or their employer or sponsor, have a financial,  
17 commercial, legal, or professional relationship with other  
18 organizations, or with the people working at them that  
19 could influence their research. They're asked to include  
20 a slide at the beginning of their talk either to state  
21 that they have no conflict of interest to disclose or to  
22 describe any conflict of interest that they have.

23 A summary of input from the March meeting, along  
24 with the complete transcript, is posted on the March Panel  
25 meeting page at [biomonitoring.ca.gov](http://biomonitoring.ca.gov).

1           Because we're meeting virtually today, I would  
2 like to have the Panel members introduce themselves. I  
3 will call on each member and ask you to unmute yourself  
4 and state your name and affiliation.

5           So I'll begin in alphabetical with Carl Cranor.

6           MS. JARMUL: Carl, I think you're muted.

7           DR. COGLIANO: Okay. We'll come back. Carl,  
8 you're still on mute, but we'll come back to you.

9           Oliver Fiehn.

10          PANEL MEMBER FIEHN: My name is Oliver Fiehn.  
11 I'm a professor at the UC Davis Genome Center. I'm an  
12 analytical chemist and like to look at both low abundant  
13 molecules as well as complex mixtures of molecules.

14          DR. COGLIANO: Thank you.

15          Ulrike Luderer.

16          PANEL MEMBER LUDERER: Hi. My name is Ulrike  
17 Luderer. And I am the Director of the Center for  
18 Occupational and Environmental Health at UC Irvine, and my  
19 research area is reproductive toxicology.

20          DR. COGLIANO: Okay. Thank you.

21          Tom McKone.

22          PANEL MEMBER MCKONE: Hi. I'm Tom McKone. I'm a  
23 Professor Emeritus at the University of California,  
24 Berkeley School of Public Health. And I'm also an  
25 affiliate at the Lawrence Berkeley National Laboratory.



1 These are both institutions that I've spent more than 25  
2 years working at, but now I'm in retirement, but still  
3 active in some areas.

4 DR. COGLIANO: Thank you. Jenny Quintana.

5 PANEL MEMBER QUINTANA: Hi. My name is Penelope,  
6 or Jenny, Quintana. I'm a Professor in the School of  
7 Public Health at San Diego State University in the area of  
8 environmental health. And my area is environmental  
9 justice in communities at the U.S.-Mexico border and  
10 exposures to children.

11 DR. COGLIANO: Okay. Thank you.

12 Veena Singla.

13 PANEL MEMBER SINGLA: Good morning. I'm Veena  
14 Singla. I'm a Senior Scientist with the Natural Resources  
15 Defense Council in the Healthy People and Thriving  
16 Communities Program. And I work on healthier indoor  
17 environments and bringing the most current scientific  
18 principles and data to inform policy.

19 DR. COGLIANO: Okay. Thank you.

20 Let me come back to Carl Cranor. I see you're  
21 still muted, it looks like.

22 MS. JARMUL: Carl, you need to click the red -- I  
23 sent an unmute request, if you could click the red  
24 microphone button.

25 PANEL MEMBER QUINTANA: I had the same thing

1 happen to me, Carl. The button disappeared, but at the  
2 very top of the line, you can go to audio at the very top  
3 of your screen on the menu option, and then under audio,  
4 you can do unmute.

5 DR. COGLIANO: Well, it looks like there is a  
6 difficulty there. Anyway, that's Carl Cranor from the  
7 University of California, Riverside.

8 MS. HOOVER: Yeah. And Vince, this is Sara  
9 Hoover. I'm just going to chime in to tell Carl, Carl, if  
10 you have -- you know, we'll try to troubleshoot on a  
11 break. And if you have questions, in the meantime, you  
12 can put them in the chat or email them to the  
13 Biomonitoring California email address and we'll read them  
14 aloud.

15 DR. COGLIANO: Thank you very much. And now, I'd  
16 like to turn the meeting over to Meg Schwarzman who's our  
17 Panel Chair.

18 Meg, it's up to you.

19 CHAIRPERSON SCHWARZMAN: Thanks. I think I'm  
20 unmuted. You can hear me okay?

21 DR. COGLIANO: Yes, we can.

22 CHAIRPERSON SCHWARZMAN: Great.

23 I am Meg Schwarzman. I am at the UC Berkeley  
24 School of Public Health in the area of environmental  
25 health sciences.

1           And I as Chair of the Panel and today's meeting  
2 want to start by announcing the goals for today's meeting.  
3 The first item of the day, as usual, we'll receive a  
4 Program update and a little less as usual provide input on  
5 the recommendations for Biomonitoring California's Seventh  
6 Report to the Legislature.

7           We'll next hear a detailed update on the targeted  
8 biomonitoring study in an AB 617 community and will  
9 provide comments on their current plan -- on that current  
10 plan.

11           And the remaining -- remainder of the meeting,  
12 we'll focus on the use of biomarkers of effect in air  
13 pollution studies, including intervention studies that use  
14 air filtration. We'll start with presentations by guest  
15 speakers from University of California, Simon Fraser  
16 University, and Colorado State University.

17           And after those presentations, we will have --  
18 excuse me -- an open discussion with the guest speakers  
19 and the audience. And that will focus on topics including  
20 study design issues in air pollution biomonitoring  
21 studies, timing of urine sample collection, given  
22 whichever biomarkers are being used -- measured, which  
23 factors should be included in questionnaires to  
24 participants, and interpreting results for biomarkers of  
25 oxidative stress and inflammation as indicators of

1 exposure. So we'll be having an open discussion about  
2 that and hopefully providing some input.

3 There will be time for questions from the Panel  
4 and the audience as usual after each presentation. And  
5 during the question periods after each talk, speakers  
6 should remain unmuted with their webcam showing, so that  
7 they can respond to questions from the Panel and from the  
8 audience.

9 For Panel members, if you want to speak or ask a  
10 question, please just physically raise your hand, not in  
11 the interface in the GoToMeeting. And I will call on you  
12 at the appropriate time. You can then unmute yourself to  
13 ask your question or provide your comment.

14 Attendees of the webinar, if you have questions  
15 or comments during the question periods after each talk,  
16 you can submit them, as Stephanie said earlier, via the  
17 question feature of GoToWebinar or by email to  
18 biomonitoring@oehha.ca.gov. Please keep your comments  
19 brief and focused on the items under discussion and we'll  
20 read aloud relevant comments. We'll paraphrase them, if  
21 necessary.

22 During the public comment periods in both the  
23 morning, and the afternoon, and during the afternoon  
24 discussion session, we also welcome oral comments live  
25 from webinar attendees. And if you want to speak, please

1 use the raise hand or question feature in the GoToWebinar  
2 platform and we'll call on you at the appropriate time.

3 So I want to start by introducing for our first  
4 agenda item, Nerissa Wu. Nerissa Wu is Acting Chief of  
5 the Environmental Health Investigations Branch at the  
6 California Department of Public Health. And she is  
7 overall lead for Biomonitoring California.

8 She'll provide an update on current Program  
9 activities and request Panel input on recommendations for  
10 the Seventh Report to the Legislature.

11 DR. WU: All right. Good morning.

12 (Thereupon a slide presentation.)

13 DR. WU: Let me show my screen here.

14 Woops. Do you see my slides?

15 CHAIRPERSON SCHWARZMAN: (Nods head.)

16 MS. JARMUL: Yes, but not in presenter mode.

17 DR. WU: Yeah. And I'm having trouble kind of  
18 getting into minimizing my GoToMeeting so that I can  
19 change them into presenter mode.

20 Here we go.

21 MS. JARMUL: There we go.

22 DR. WU: Okay. All right. And I just want to  
23 make ond correction. I'm no longer the Acting Branch  
24 Chief at EHIB. We do have a permanent Branch Chief at  
25 this point, but I am still a Program lead. Good morning,

1 everybody.

2 --o0o--

3 DR. WU: I have 15 minutes to update you on a  
4 number of activities, so I am going to crank through these  
5 fairly fast.

6 --o0o--

7 DR. WU: I want to start off by talking about the  
8 budget. And this is a slide that's familiar to many of  
9 you depicting the Program's budget over the past five  
10 years. But I have the great pleasure of bringing some  
11 good news to this Panel. We have a new State budget that  
12 has just recently been signed that includes an additional  
13 \$2 million appropriation for the Program. So given our --  
14 I know, yay. Given our baseline funding of about 2.2  
15 million, this represents a really significant increase to  
16 the Program. So 14 years after the formation of the  
17 Program, this is our first permanent State budget  
18 increase.

19 --o0o--

20 DR. WU: It's very recent news. So it's pretty  
21 premature to be talking about how this money will be spent  
22 within the Program. But in general, the funding is  
23 intended to support surveillance to track temporal trends  
24 and to help us interpret the results of community-focused  
25 exposure studies. The funds will be used to hire more

1 staff, laboratory analysts, epidemiologists, health  
2 program specialists, basically all the people that are  
3 needed for the different aspects of biomonitoring.

4 And there's also, for the first time in our  
5 Program's history, State funding to support the operations  
6 of the Program, purchase of supplies and so on. So really  
7 grateful for this. Big thank you to our supporters, who  
8 have worked so hard over the years to raise awareness of  
9 the importance of biomonitoring.

10 --o0o--

11 DR. WU: We do have some staff changes to  
12 announce. We have a new Research Scientist III in our epi  
13 group, Dina Dobraca, who was actually with the Program,  
14 2010 to 2012, so she's not entirely new. Welcome back,  
15 Dina. We're very excited to have you in the Program.

16 We also have a couple of departures shown here in  
17 red. Julia Varshavsky who has been with OEHHA for the  
18 past year, has taken a position at Northeastern  
19 University, where she'll be an awesome addition to their  
20 faculty. And Jennifer Mann retired in May. Both super  
21 talented epidemiologists who made enormous contributions  
22 to the Program. So we very much appreciate their work and  
23 we miss them.

24 CDPH staff continue to be redirected for COVID  
25 work, although to a lesser extent than before. But

1 between staff changes, and redirections, and we're all  
2 still mostly teleworking, it has not been an easy time for  
3 us to work as a team and to maintain a sense of  
4 continuity. So kudos to everyone who has worked really  
5 hard to remain productive and to take on all these extra  
6 burdens.

7 --o0o--

8 DR. WU: One example of a task that's made much  
9 harder by teleworking is results return. When we create  
10 the results return packets, it's really an  
11 all-hands-on-deck kind of situation, which was made a lot  
12 harder by not being able to assemble and physically work  
13 on the packets together. But results for CARE-3, our 90  
14 participants, have been sent out. These bound packets  
15 have been a standard of the Program for many years, so  
16 those of us who are not in the weeds of producing those  
17 packets might not -- might not know what goes into them.  
18 So I just want to acknowledge the hard work that goes into  
19 producing these packets. It's many hours of writing up  
20 fact sheets, data management and analysis, formatting,  
21 making sure all the data ends up in the right place for  
22 the right person, and then gets bound up in this nice  
23 packet.

24 --o0o--

25 DR. WU: And we did get some positive feedback



1 from our CARE-3 participants with a couple people noting  
2 how impressed they were with the information provided.  
3 It's also really great to get feedback and suggestions  
4 from participants to help us understand how we can be  
5 useful to our participants.

6 So, for example, one participant noted that it  
7 would be helpful to get a summary of results, so they  
8 could give it easily to their medical provider. This kind  
9 of feedback is great, because we're always trying to tweak  
10 and improve our results material. And our goal is always  
11 to be as useful as we can be to our participants.

12 So now that results are out to participants, we  
13 can turn to conducting our demographic analyses and  
14 getting summarized data posted. There are many different  
15 ways we try to distribute our findings, both to individual  
16 participants, but also to a broader public. And this  
17 was -- I'm going to go back a couple slides. I did not  
18 have an X here to indicate that we have another product  
19 coming out, because it's just been finalized this week.  
20 But we've just finalized a four-page newsletter style  
21 publication on the CARE-LA results that we'll be able to  
22 post and otherwise disseminate. So that will be coming  
23 out in the next couple weeks. And this is a format we  
24 hope to use to broaden our distribution of study findings.

25 --o0o--

1 DR. WU: So as we've discussed in the last couple  
2 meetings, we are continuing to explore options for  
3 surveillance to determine the best study design to  
4 implement in the coming years. As part of that, we're  
5 putting significant effort into looking back, documenting  
6 and evaluating CARE. And we're doing a similar effort  
7 with BEST, taking a look at the methodology and the data  
8 that was collected. I think it's really important to look  
9 back in order to move forward. It helps us identify  
10 lessons learned and to weigh some of the different design  
11 choices that we've made in the past.

12 One of the issues we've been discussing is  
13 weighting both for BEST and CARE data. We want to compare  
14 our data between regions, between California and NHANES.  
15 And actually external researchers use our data as a basis  
16 for comparison for their own studies. The data that we  
17 have posted and that we've presented here and other forums  
18 has been unweighted, which is fine as a reflection of  
19 study statistics. But if we're going to use this data as  
20 population -- population tendencies, we need to be able to  
21 weight the data so that it reflects the underlying  
22 population.

23 For a number of our analytes, such as PFAS, there  
24 are associations with sex, or age, or race. And so using  
25 data that's unweighted for those parameters to calculate

1 central tendencies can give us a skewed geometric mean,  
2 for example. So we're putting some effort now into  
3 weighting the previously collected data. And it's also  
4 helping us think about when we go to design a future  
5 study, how do we generate the most useful data possible.

6 --o0o--

7 DR. WU: We're also in the process of producing a  
8 report on the CARE study, which is something that we  
9 haven't done for projects in the past. It's a significant  
10 task, given the scope and complexity of CARE, but it's  
11 another opportunity for us to really evaluate how we did  
12 and also share the methodologies and findings with a wider  
13 audience.

14 So the report will include information on field  
15 and lab methods, and study results, summaries per region,  
16 participant demographics, as well comparisons between  
17 regions. And this is data that has been presented in this  
18 forum to an extent, but this will be a more detailed  
19 version of that.

20 --o0o--

21 DR. WU: We're also continuing to look ahead to  
22 explore potential collaborations. For example, we've met  
23 with the Childhood Lead Poisoning Prevention Branch within  
24 CDPH to talk about how we might work together to conduct  
25 surveillance of pregnant women to identify women with

1 elevated lead and mercury levels, so that we can target  
2 intervention and reduce exposures among pregnant women and  
3 newborns. This is similar to what Minnesota and New  
4 Jersey programs have done.

5 And we're continuing to talk to colleagues from  
6 other states. New Jersey has come up with a temporal  
7 comparison for their PFAS data using weighted data. New  
8 Hampshire and Massachusetts are coming out with reports on  
9 their first round of surveillance. And we have the  
10 current CDC grantees, New Jersey, New Hampshire,  
11 Minnesota, Michigan, and Iowa starting up their field  
12 work. So we're following their progress, watching their  
13 study designs to help inform our path forward.

14 So we're going to continue this exploration of  
15 different surveillance methods over the next year. With  
16 our recent budget news, we're more hopeful that we'll be  
17 able to implement some of the ideas we've discussed and  
18 we'll continue to report back to you to get feedback.

19 --o0o--

20 DR. WU: So I just want to turn to laboratory  
21 activities. We haven't been in the field this last year,  
22 but the labs have been very busy with collaborations.  
23 EHLB has been working on the PRECATO study to measure  
24 tobacco and cannabis exposure among pregnant women.  
25 They're also working with the Women Workers Biomonitoring

1 Collaborative to look at PAH levels in firefighters at  
2 multiple time points following participation in a fire  
3 response.

4 --o0o--

5 DR. WU: ECL has been working on the Discovery of  
6 Novel Environmental Chemicals in Maternal-Infant pairs  
7 doing non-targeted screening on 300 paired maternal and  
8 cord blood samples. They're also involved with the Women  
9 Worker Biomonitoring Collaborative using non-targeted  
10 screening to compare chemical exposures between  
11 firefighters, office workers, and nurses; the PFAS and  
12 Maternal Cardiovascular Disease Risk, looking at PFAS  
13 levels in 250 study participants; the EaRTH Center,  
14 measuring POPs, and flame retardants, and non-targeted  
15 screening. And the N of that is still to be determined.  
16 And finally, there's the Environmental Influences on Child  
17 Health Outcomes, or ECHO, Pediatric Cohorts for which  
18 they're looking at PFASs in mothers, both in California  
19 and Illinois with a total N of about a thousand.

20 --o0o--

21 DR. WU: Both labs are also actively working on  
22 developing or improving methods, mercury speciation, a  
23 method to measure stable VOC metabolites in urine,  
24 expanding -- or automating the expanded PFAS panel, as  
25 well as developing a new QC -- GC-QTOF non-targeted method

1 to screen for volatile and semi-volatile chemicals.

2 --o0o--

3 DR. WU: And finally, I want to talk about the  
4 legislative reports. Just a reminder that our founding  
5 legislation calls for the submittal of legislative reports  
6 every two years. So Report 7, which covers July 2019 to  
7 June 2021 is due at the end of this calendar year. So  
8 we're working on that now. As you might remember from our  
9 last Leg Report, Leg. 6, we include program  
10 recommendations from this Panel. And for Leg. 6, there  
11 was a discussion at the July 2019 meeting about what this  
12 would include. And you can see the recommendations as  
13 they -- as they ended up in Leg. Report 6.

14 --o0o--

15 DR. WU: So things like maintain core laboratory  
16 capabilities and develop innovative and efficient  
17 laboratory methods, improve the CARE study, conduct  
18 biomonitoring studies that seek to better understand and  
19 mitigate environmental health inequities, expand  
20 assistance to local agencies, expand and improve health  
21 education, conduct biomonitoring studies that seek to  
22 better understand and mitigate environmental health  
23 inequities, and --

24 --o0o--

25 DR. WU: Woops. Did I already say that one?

1           And conduct biomonitoring studies to evaluate the  
2 effectiveness of regulatory programs.

3           Sorry I went a little out of order.

4           So we'd like to have a similar list of Panel  
5 recommendations to include with Leg. 7.

6                       --o0o--

7           DR. WU: And over the past couple of years, we've  
8 had a lot of discussion about the directions of the  
9 Program, what to prioritize and where to focus our  
10 surveillance efforts. So in these next couple of slides,  
11 there are things that we have captured from those  
12 meetings. Some of them are similar to Leg. 6. They're  
13 recommendations that are kind of eternal for the Program,  
14 I guess. But this list is not exhaustive and it's  
15 certainly not a closed list. You can continue to add or  
16 delete from this list or elucidate on an idea that's on  
17 here.

18           I will say that it's most helpful to us if the  
19 recommendations are specific. All the ideas are  
20 important, but it's helpful if not everything is a  
21 priority. And I guess the other thing I'd say is it's  
22 helpful if the recommendations are feasible, given our  
23 program limits. Because even with our new expanded  
24 budget, we clearly can't do everything. So it's good to  
25 be aspirational, but it's helpful for us to get a sense of

1 recommendations are within our -- within a feasibility.

2           So some of the recommendations are about general  
3 program directions, things like conducting studies that  
4 seek to better understand and mitigate environmental  
5 health inequities, design studies to focus on differences  
6 across demographics and types of communities like rural  
7 versus urban, conduct intervention studies to link  
8 community needs with biomonitoring, prioritize studies of  
9 exposures among children, study impact of wildfires not  
10 only among firefighters, but also clean-up crews and field  
11 workers.

12                               --o0o--

13           DR. WU: Promote fee-for-service laboratory  
14 capabilities to help us support the Program, maintain core  
15 lab capabilities, develop innovative and efficient lab  
16 methods, and ensure that study results are distributed to  
17 the broader public.

18                               --o0o--

19           DR. WU: Some of the feedback we've heard has  
20 been more specifically related to surveillance from our  
21 last couple of meetings and we've heard the following,  
22 that we should consider less expensive ways to collect  
23 samples, things like in-home self-collected samples or  
24 using banked samples, or perhaps even turning to using  
25 wastewater treatment samples that is an indicator of



1 exposure as compared with our current urine and blood  
2 collection.

3 We've heard that we should collaborate with  
4 others on participant recruitment, interpretation of  
5 non-targeted screening data, and data analysis, helping  
6 bring in some expertise perhaps from doctoral students,  
7 ensure that surveillance studies reflect the population  
8 with respect to education and income level.

9 --o0o--

10 DR. WU: We should recognize that studies can't  
11 address all questions and so we should prioritize temporal  
12 trends over geographic trends, conduct studies that can  
13 help evaluate the effectiveness of regulatory programs,  
14 publicize policy-relevant studies, and we should focus on  
15 what makes California different, so we're not replicating  
16 work that exists in other forums.

17 --o0o--

18 DR. WU: So those are some of the recommendations  
19 that we've heard over the past couple of years. And  
20 again, this is not a final list, but we would be able to  
21 be -- we would like to be able to include formal Panel  
22 recommendations in our next Leg Report. So perhaps in the  
23 discussion, we can talk both about what should be retained  
24 in this list, further things to add or delete, but also  
25 discuss a process by which this list is finalized and

1 provided to us.

2           So I want to stop there. I want to thank the  
3 Panel for your attention and support. Thank our  
4 stakeholders again for the amazing work you've done over  
5 the years for the Program, and, of course, thank the staff  
6 of Biomonitoring without whom none of this would be  
7 possible.

8           CHAIRPERSON SCHWARZMAN: Thank you so much for  
9 that, Nerissa. And it's so great to have the good news.  
10 Congratulations to you, and to the staff, and to everyone  
11 who has advocated for that change over the years. I think  
12 it's a pretty wide community.

13           I want to open it up to questions from the Panel  
14 for Nerissa. And we'll have a Panel discussion about  
15 those legislative -- the legislative report priorities in  
16 a minute, so this is just a moment for questions to  
17 Nerissa.

18           Yeah, Jenny.

19           PANEL MEMBER QUINTANA: Hi. I was happy to hear  
20 the good news. But the question I have is over the years  
21 we've talked about that this Program has not been funded  
22 to do the initial intent of the Program, which was to  
23 provide a population-weighted snapshot of all of  
24 California, similar to the NHANES, CDC Environmental  
25 Health study. And so I guess my question is how much does

1 doubling your budget bring you to being able to do it  
2 quote unquote right, to do the study that was envisioned  
3 when this Program started? Like I think it's still short  
4 is my gut feeling.

5 DR. WU: Yeah, that's a really good question.  
6 And I don't want to stand up here and say give us more  
7 money. But the initial assessment of what this Program  
8 was initially envisioned to do was 10 to 12 million  
9 dollars and that was in 2006-2007. And when we've done  
10 sort of updated assessments of what it would take using  
11 the CARE template to do sort of a two- or three-year cycle  
12 around the state, it was similarly 12 to 14 million  
13 dollars.

14 So clearly a \$4 million budget is not going to  
15 accomplish that. I think we need to continue down the  
16 path of finding alternatives to that full State  
17 probabilistic model, but I think there's a lot more we can  
18 do. I think we have some really good potential study  
19 designs that will help us have the most public health  
20 impact we can, perhaps not the all-encompassing  
21 surveillance we'd like to do, but it will help us  
22 accomplish those goals. And it's still -- you know, it's  
23 still a doubling of our budget.

24 CHAIRPERSON SCHWARZMAN: Tom.

25 PANEL MEMBER McKONE: Thank you for the

1 presentation. Very informative. I'd like to add another  
2 question on a similar line, but more about the stability  
3 of the two million. You indicated that it would be  
4 lasting, but I guess the question -- you know, a lot of  
5 different organizations, agencies of the State got  
6 additional money this year, because there was a big  
7 surplus and they really wanted to get the surplus out.  
8 But we don't -- I mean, is there any sense of how stable  
9 that might be or when we'll get to a point where all of  
10 that added money is going to be pulled back?

11 DR. WU: The allocation as described is it's  
12 general fund and it's described as ongoing annual funding,  
13 which is awesome news. Budgets change though, so it's  
14 not -- nothing is guaranteed, but it is currently in our  
15 budget as ongoing.

16 PANEL MEMBER MCKONE: Thank you.

17 CHAIRPERSON SCHWARZMAN: We have 10 minutes for  
18 public comment now before we go onto the discussion and  
19 provide the Program with some input about the Leg Report.  
20 So I want to check with Shoba if there's any comments on  
21 the public, and Stephanie I guess, on the webinar or the  
22 email.

23 DR. IYER: I'm -- this is Shoba. I'm checking  
24 and I'm not seeing any hands raised or comments in the  
25 chat or questions.

1 CHAIRPERSON SCHWARZMAN: I'm actually just going  
2 to give it a minute, since I just announced that and we're  
3 a little bit ahead of schedule. So why don't we just give  
4 it a minute in case there's somebody who wants to  
5 participate at this moment for the discussion of the  
6 Program update and the legislative report, and then we'll  
7 turn to that discussion.

8 DR. IYER: That is a great idea, because we did  
9 just get a question coming in, so I'll read it allowed.  
10 This is from Ahimsa Porter Sumchai. And I think it's a  
11 comment saying I would like to encourage Biomonitoring  
12 California to include in its recommendations the use of  
13 geospatial mapping in survey work to identify patterns and  
14 distribution of exposure and to promote the use of  
15 advanced environmental justice and screening tools,  
16 including the EPA EJ screen that allows mapping of 11  
17 environmental indicators, including PM2.5, lead based  
18 paint proximity, traffic volume and proximity, hazardous  
19 waste and Superfund proximity, and diesel particulates.

20 And so that was one comment.

21 We have another comment from Nancy Buermeyer  
22 about groups that supported the budget augmentation. So I  
23 can go ahead and read the list that she's provided here,  
24 which is quite extensive. Shall I read it aloud?

25 MS. HOOVER: Hi, Shoba. This is Sara. No, I

1 don't think that's necessary.

2 DR. IYER: Okay.

3 MS. HOOVER: We can just have it as part of our  
4 record and just note that we have that information.

5 DR. IYER: Great. And thank you for the  
6 information, Nancy.

7 And those are -- those are the only written  
8 questions I'm seeing come in.

9 CHAIRPERSON SCHWARZMAN: Great. Thank you so  
10 much, Shoba. And we will continue to have opportunities  
11 for public comment after each presentation. So just keep  
12 that in mind if you're listening and you can tee up your  
13 questions and we'll try to -- since it follows the Panel  
14 question session, folks can just kind of know that if  
15 they -- while the Panel is asking clarifying questions,  
16 they could submit questions or indicate on GoToWebinar  
17 that they have a question and we'll make sure to get it  
18 into that -- into that moment in the agenda.

19 So thanks, Shoba, for doing that on the fly.

20 Let's see, Sara, I guess -- so we're going to  
21 start the Panel discussion now about the recommendations  
22 for the legislative report, and -- but I had a question to  
23 start us off that's kind of for Sara Hoover, which is  
24 responding to the public comment that we just received  
25 about encouraging the use of geospatial mapping and

1 specifically the EPA EJ screen. And I'm wondering if you  
2 could say anything about the Program's use of that versus  
3 the CalEnviroScreen indicators that's specific to  
4 California. Do you have anything to --

5 MS. HOOVER: I don't --

6 CHAIRPERSON SCHWARZMAN: Okay.

7 MS. HOOVER: No, I don't have anything to say,  
8 but we'll -- you know, this will be in the transcript and  
9 it's something we can follow up on. I will also invite  
10 Nerissa. I don't know if you wanted to say anything about  
11 that particular comment, but I think we'll just --

12 DR. WU: No, thanks, Sara.

13 MS. HOOVER: Sorry?

14 DR. WU: No, I do not have a comment.

15 MS. HOOVER: Yeah. Okay. Yeah. And also, Meg,  
16 feel free, in addition to discussing the Leg Report  
17 recommendations, you can feel free to provide input on  
18 other elements of Nerissa's update.

19 CHAIRPERSON SCHWARZMAN: Okay. Great. And by  
20 that, I assume you mean basically sort of program  
21 priorities and next steps on the various projects that  
22 Nerissa updated us on.

23 MS. HOOVER: Yeah. Yeah.

24 CHAIRPERSON SCHWARZMAN: Great. Okay. I guess  
25 just to close out that topic that I just raised, and then

1 I want to open it up to the Panel for discussion of the  
2 Program priorities and discussion of the recommendations  
3 for the legislative report, is, you know, I hear -- I hear  
4 that comment as being very much in line with the  
5 priorities that we'd expressed in the -- to the Program  
6 for -- at the timing for Leg. Report 6 and also in the  
7 comments that Nerissa highlighted about things that have  
8 sort of come up over the last couple of years that could  
9 feed into Leg. Report 7, if we want to, about making sure  
10 that we are looking at uneven distributions of exposures  
11 among populations and specifically with an eye toward  
12 environmental injustices and inequities.

13 And so I think I support those comments and then  
14 just have that open question about how the Program has  
15 used the EPA EJ screen, and whether it feels like a useful  
16 addition, since in California we do have the much more  
17 California specific CalEnviroScreen that lets us draw on  
18 those metrics of California communities. I think that's  
19 all I wanted to say about that.

20 Tom.

21 PANEL MEMBER MCKONE: Yeah. So we do have a  
22 special tool that's quite impressive in CalEnviroScreen.  
23 But, you know, in terms of the comment about making better  
24 use of satellite data and other kinds of surveillance, I  
25 think it might be -- you know, I don't know who's around



1 on this that's into it. It might really be more of an  
2 OEHHA broader agenda to consider integration of  
3 CalEnviroScreen results or some sort of augmentation of  
4 those results.

5 With all of the emerging GIS, all of the mapping  
6 data, all of the things that people are doing for that  
7 also. And I don't know, I mean, it could be a small  
8 effort, but there is -- there is a lot of new information  
9 coming out of these mapping tools. And I think rather  
10 than say CalEnviroScreen does everything we need at this  
11 point, it might be useful to say, well, let's just check  
12 into this and see if it could be enhanced with some of  
13 that information.

14 But, you know, I don't know if -- I don't know if  
15 that's necessarily a recommendation that's biomonitoring  
16 specific. I think that's more specific to the whole  
17 agenda of trying to understand the distribution,  
18 inequities, time, history, the interaction of social and  
19 environmental factors. That's a much broader agenda than  
20 biomonitoring. So we might say something on that, but I  
21 actually think it's something that's a little bit odd  
22 about our realm of recommendations.

23 MS. HOOVER: So, Tom and Meg, I will chime in to  
24 say a little bit about this now. We actually are doing  
25 that sort of work in terms for analyzing the East Bay

1 Diesel Exposure Project results. We'll also be doing that  
2 type of work in our AB 617 biomonitoring study. And  
3 obviously, CalEnviroScreen has played a big part both in  
4 identifying locations for the diesel project and also for  
5 AB 617 communities. So it's definitely integrated. In  
6 fact, you know, sort of that whole concept of  
7 environmental justice is a founding principle in the  
8 enabling legislation.

9 We take your point though, Tom and Meg, about  
10 just focusing on tracking new tools for GIS mapping and  
11 taking those into account. That's definitely something  
12 that our analysts are aware of.

13 PANEL MEMBER McKONE: Thank you. That's good to  
14 hear.

15 CHAIRPERSON SCHWARZMAN: Thanks, Sara.

16 Other comments from the Panel?

17 It's kind of an open discussion opportunity.

18 Jenny.

19 PANEL MEMBER QUINTANA: I just want to briefly  
20 add to the past point that I think that it would be enough  
21 to say that we would try to add GIS layers as they become  
22 available that inform our biomonitoring plans, but also to  
23 use them to make sure we are addressing disadvantaged  
24 communities and populations. So maybe in using them in  
25 two ways, I think we can make a positive statement,

1 because CalEnviroScreen does lag a little bit behind data  
2 that's available, because they have to make a decision  
3 about which to apply to which, you know, variable.

4 So I think it is good to make a statement that we  
5 want to incorporate them and also use them to evaluate our  
6 programs. But is this the open discussion part? I can  
7 say something else to you?

8 CHAIRPERSON SCHWARZMAN: (Nods head.)

9 PANEL MEMBER QUINTANA: All right, I just wanted  
10 to make sure.

11 Just looking at the list of priorities, the -- a  
12 couple that came to mind is that breast cancer concerns  
13 were very foundational to passing this legislation in the  
14 beginning, and activists in that area, and I just feel  
15 like we haven't, as a Program, really specifically said  
16 we'd like to address that. And it would be interesting,  
17 especially given the new capabilities and focus on  
18 non-targeted analysis, which has the potential to discover  
19 important chemicals, especially thinking of things that  
20 might inform breast cancer biomonitoring perhaps by using  
21 nested data from ongoing studies, because, of course,  
22 cancer takes a long time to develop.

23 But I just think that I'd like to see that in our  
24 priorities somewhere. I think that given a lot of  
25 chemicals that are endocrine disruptors and maybe ones we

1 don't know about, I think that would be something that our  
2 program should look at.

3           And then the second area I haven't seen in this  
4 list, unlike pretty much every other list I've seen for  
5 other efforts I'm involved in is explicitly mentioning  
6 climate change. And certainly that's implied in the  
7 wildfires bullet point, as we all know that wildfires are  
8 increasing in severity and number. But I think I would  
9 like to see that maybe explicitly said, that look at  
10 exposures that may increase with climate change for -- you  
11 know, as example wildfires.

12           Thank you.

13           CHAIRPERSON SCHWARZMAN: Jenny, are there any  
14 other exposures that you have in mind associated with  
15 climate change?

16           PANEL MEMBER QUINTANA: I was just thinking that.  
17 And I was not actually sure. I was just thinking, you  
18 know, what chemicals, the increased heat might be more --  
19 like volatile chemicals might be higher concentrations,  
20 for example, from air pollution emitted directly from  
21 vehicles. And I don't have an answer to that. I was  
22 actually thinking of that exact question as Nerissa was  
23 speaking, so -- but I think maybe thinking about that  
24 explicitly in the future would be good. Yeah.

25           CHAIRPERSON SCHWARZMAN: And it sounds like even

1 explicitly making the connection between the interest in  
2 wildfires and climate change.

3 PANEL MEMBER QUINTANA: Yes, that would be --

4 CHAIRPERSON SCHWARZMAN: Even adding a  
5 recommendation for other things to analyze.

6 Tom, I see your hand. I just wanted to add on  
7 one thing to what Jenny said, and then I'll have you  
8 speak, which is on the breast cancer related chemicals, I  
9 can share with the Program very soon a draft that I'm  
10 currently reviewing that's from my research group that's a  
11 new -- in concert with Silent Spring that's sort of an  
12 updated mammary gland carcinogen paper that includes a lot  
13 more hormonally active compounds. And so just to offer  
14 that as a resource in the coming months. It's not ready  
15 today, but thank you for that.

16 PANEL MEMBER QUINTANA: Thank you.

17 CHAIRPERSON SCHWARZMAN: Tom.

18 PANEL MEMBER MCKONE: Yeah. I just wanted to --  
19 I mean, to follow up to that. There are studies that have  
20 indicated that climate change can augment enhance  
21 exposures through existing pollutants by changing, you  
22 know, climate conditions, hotter, drier, more or less  
23 wind. So I do think that -- I mean, I actually have  
24 been -- I did a paper on this 20 years ago about how a  
25 changing climate would affect the transport distribution

1 of volatile and then persistent chemicals. So there is  
2 some -- there's been more work since then, but there is --  
3 there is work going on. So I do like the idea of making  
4 it climate related, because climate basically alters a lot  
5 of the conditions, the vulnerability of populations, and  
6 the level of exposure.

7           Also, I mean, just to follow up on the issue of  
8 wildfires, and I think John Balmes may bring this up, or  
9 I've talked with him about it, the, you know, wildfire  
10 particulate matter and wildfire emissions are different  
11 from PM associated with roadways and other sources. So it  
12 is a different kind of exposure. So it is -- and again,  
13 it's something we've always had, but the distribution is  
14 much wider more intense. So it is a climate-related issue  
15 and it really deserves collecting more data, because it's  
16 a new -- in a way, kind of new kind of exposure to  
17 something that was historical that is now made different  
18 by the conditions of fires and the changing climate.

19           So again, I do second that recommendation to kind  
20 of tie this into climate as a key part.

21           CHAIRPERSON SCHWARZMAN: Thanks for that, Tom.

22           One thing that I want to add too is that, of  
23 course, when we're looking at exposures due to wildfires,  
24 it's not just PM that's different, right? It's also  
25 because of the fires at the urban interface. Essentially,

1 it's exposure potentially to lots and lots of other  
2 compounds associated with what we're calling wildfires,  
3 but that actually involve a lot of built environment, and  
4 their components.

5 Veena, you had a comment.

6 PANEL MEMBER SINGLA: Thank you, yes. I third  
7 the suggestion to draw the explicit connection to climate  
8 change. And, you know, this is I'd say not necessarily a  
9 recommendation or a priority for the Program but just to  
10 note that another area of connection to climate change,  
11 something that I'm focused a lot on these days is thinking  
12 about building decarbonization, which encompasses  
13 electrifying buildings, removing fossil fuel combustion  
14 from buildings as well as building energy efficiency  
15 improvements and the effect of those on indoor  
16 environmental quality. So I'd say that's another really  
17 important area of connection between actions the state is  
18 taking on climate change and potential exposures to people  
19 in the indoor environment.

20 And the other comment I had is I wanted to  
21 express continued strong support on the first bullet on  
22 this slide, the studies to better understand and mitigate  
23 environmental health inequities. I think as Nerissa said,  
24 that's a ongoing important priority. And I think a couple  
25 other pieces on these slides are connected to that. In

1 terms of the mitigation piece -- mitigating environmental  
2 health inequities, I think the intervention studies  
3 linking community needs as something that can really help  
4 inform the mitigation question for kind of individual and  
5 community level actions. And then I believe on the next  
6 slide, there was a bullet about policy relevant studies in  
7 science and the sort of assessing the effectiveness of  
8 policy interventions.

9 And I think both of those are also connected to  
10 the -- this question of mitigating environmental health  
11 inequities. So I think again the environmental health  
12 inequities piece remains a priority and that there is  
13 other types of science and studies that can help inform  
14 the question of how to mitigate some of those inequities.

15 CHAIRPERSON SCHWARZMAN: And when you say that  
16 other sorts of studies, Veena, you're circling back to  
17 what you said about intervention studies that sort of meet  
18 the needs of a community at the same time as we're  
19 gathering data and also ones that assess the impact of  
20 policy.

21 PANEL MEMBER SINGLA: (Nods head). Yes, you got  
22 it.

23 CHAIRPERSON SCHWARZMAN: Thank you. I just want  
24 to make sure I understand.

25 One of the places that I'm going with this, just



1 to foreshadow a request that we have to -- I want to  
2 make -- I will make of you is that we, as a Panel, need to  
3 summarize these recommendations in a letter to the  
4 Program. And so I will be asking for a volunteer to help  
5 write that letter, but that's why I'm clarifying ideas and  
6 making sure I get it right.

7 So what other comments do panelists have about  
8 these recommendations that you see on the slides or other  
9 recommendations that you either want to highlight or make  
10 sure get in for the next round?

11 Is there anything on this list that you either  
12 want to disavow or, like Veena did, kind of reiterate and  
13 expand on?

14 Jenny, you had something.

15 PANEL MEMBER QUINTANA: Hi. I just wanted -- if  
16 you could toggle through again. I feel like the  
17 non-targeted analysis is not specific. Oh, here it is.  
18 There is an item that's kind of vague that this third --  
19 the second bullet point that we're looking at right now, I  
20 think that's the only bullet point that mentions  
21 non-targeted analysis, is that correct?

22 DR. WU: I think that's correct. And these are  
23 sort of harvested from discussions we've had in the past,  
24 so they weren't specifically phrased as program  
25 recommendations. So certainly you can elucidate on the

1 point now.

2 PANEL MEMBER QUINTANA: Well, I think -- I  
3 just -- I think we should talk about why we want to use  
4 non-targeted analysis. And the reason I'm bringing that  
5 up is because we're just -- I'm just sort of writing a  
6 paper on non-targeted analysis in house dust. And some of  
7 what we get is drugs of abuse, for example, in the dust,  
8 which may have been left by our current participants or  
9 maybe past participants.

10 But I think when you have non-targeted analysis,  
11 you have such a wide net that I'd like to kind of  
12 explicitly say that what we're looking for is industrial  
13 or commercial chemicals that we didn't know, you know,  
14 were in the environment. And there's certainly many  
15 examples of those. I'm not sure if you're familiar with  
16 that story about the tire component that turned out to be  
17 killing all the salmon that was found by non-targeted  
18 analysis. I mean, that's a home run for non-targeted  
19 analysis.

20 So I think I'd just like to really kind of make  
21 it explicit that we're looking to see what chemicals, but  
22 we're not -- and that -- and it also brings up an issue of  
23 how we handle data like that in terms of results return to  
24 participants. So I guess I would -- what I'm saying is I  
25 think of using that as kind of a pooled -- pooling samples

1 to look at results rather than individual results for the  
2 IRB, the human subjects reasons, and to make it more  
3 explicit. I think this is an issue when you use  
4 non-targeted analysis.

5 And I know there's experts on the Panel more  
6 expert than I, but just I was thinking maybe of having a  
7 bullet point a little more targeted towards that, no pun  
8 intended.

9 Thank you.

10 CHAIRPERSON SCHWARZMAN: Okay. So that's  
11 helpful. That's suggesting that we call out as a separate  
12 point the value that we see in non-targeted analysis, not  
13 just like this as a subset of -- you know, this is  
14 obviously a comment that we were making in response to how  
15 to help with participant recruitment or how to help the  
16 staff get done all the work that needs to get done. And  
17 one of that was like this heavy burden of interpreting  
18 non-targeted screening data, but it's not actually saying  
19 we really recommend -- or we see the value of and  
20 recommend the use of non-targeted screening.

21 Okay. Carl.

22 Carl, we so far can't hear you.

23 MS. JARMUL: You are unmuted, but perhaps your  
24 microphone isn't working now.

25 PANEL MEMBER FIEHN: What sometimes helps if you

1 take off the earphones and just directly use the  
2 microphone of the computer and de-plug your microphone,  
3 the --

4 MS. JARMUL: Sorry, Carl. If you want to email  
5 your comments. We can troubleshoot during lunch.

6 CHAIRPERSON SCHWARZMAN: Okay. So we'll await an  
7 emailed comment from Carl. We have Ulrike and Veena and I  
8 think we also have one emailed comment about a legislative  
9 report recommendation.

10 MS. HOOVER: And, Meg, I will say real quick --  
11 sorry Ulrike -- for Carl, if you -- Carl, if you want to  
12 try, I have had this experience with GoToWebinar that  
13 audio starts working again if you leave the meeting and  
14 rejoin. That will mean you're briefly out of the meeting,  
15 but if you want to try that, so that you can actually  
16 speak before lunch, you could give that a shot, and we'll  
17 just know that you'll be back.

18 MS. JARMUL: He did restart. Sorry, this is  
19 Stephanie, he just has another issue --

20 MS. HOOVER: Oh, well. Okay. Thanks, Stephanie.

21 (Laughter.)

22 MS. HOOVER: Back to troubleshooting during  
23 lunch. Apologies. Please continue.

24 CHAIRPERSON SCHWARZMAN: Over to you, Ulrike.

25 PANEL MEMBER LUDERER: Okay. Thank you. I just

1 wanted to say that, you know, these -- there are -- there  
2 are quite a few different, you know, items on these lists  
3 here of things that -- you know, that we would like the  
4 Program to do. And I just think, you know, maybe we  
5 should focus on maybe separating them into things that we  
6 believe, you know, are the top priorities and that are  
7 doable within the current budget versus things that we  
8 would love to see happen, like a -- you know, like what  
9 the Program was originally legislatively mandated to do,  
10 which is a population-based sample of the whole state,  
11 which we don't -- we know is not feasible currently, sort  
12 of not forgetting that that was the original idea, but  
13 then focusing on, well, what can be done, you know, which  
14 of these recommendations can be done within the budget.

15 And so, you know, a lot of the -- let's see --  
16 you know, for example, you know, the one that you had --  
17 the slide that is currently up, you know, considering less  
18 expensive ways to collect samples obviously addresses  
19 that, but also some of the other suggestion types of  
20 studies. So, you know, studies that focus on a particular  
21 community that also addresses the need to understand and  
22 mitigate environmental health equities, so, you know,  
23 focusing on environmental justice communities. And I  
24 think there's several bullets that relate to that.

25 You know, studying the impact of wildfires is

1 another one. So more focused studies, but then also say  
2 that -- you know, that ideally in the future, it would be  
3 great if the funding were available to also do, you know,  
4 a more NHANES like, you know, ongoing study that's a  
5 population based sam -- biomonitoring study that can  
6 assess temporal trends across the whole state over time.

7 CHAIRPERSON SCHWARZMAN: Thank you, Ulrike.  
8 Veena, you had another comment?

9 PANEL MEMBER SINGLA: Ulrike said exactly what I  
10 was going to say, so that's it.

11 CHAIRPERSON SCHWARZMAN: Great. Thank you. And  
12 Shoba, would you read the comment that was submitted,  
13 please.

14 DR. IYER: Sure thing. So this is a comment that  
15 Nancy Buermeyer sent over the questions feature. She has  
16 a legislative report recommendation and that's to include  
17 a clear section that could be used as a pull-out  
18 explaining what the budget augmentation has been used for  
19 and allowed the Program to do that would not have been  
20 possible without the additional funding. This would be  
21 very useful to advocates to continue to build and expand  
22 support for the Program.

23 CHAIRPERSON SCHWARZMAN: Great. Thank you. So  
24 that sounds like a recommendation to the Program in  
25 preparing the legislative update and not -- we can echo

1 that, but it's not something that the Panel will do.

2 Thank you for that comment.

3 Anything else? We have about two more minutes,  
4 if anyone else wants to make a comment?

5 And, Jenny, if you have a quick thing. Great.

6 PANEL MEMBER QUINTANA: I just wonder if you  
7 could toggle through again -- through the list. I just  
8 wanted to think -- maybe over the break, we could number  
9 them to help order them, if the Panel is actually going to  
10 follow up on Ulrike's suggestion to perhaps prioritize  
11 them. And I also wanted to see if we had -- I don't think  
12 we have a specific bullet point that says we want to  
13 explicitly link to promoting policy. Like, we have  
14 publicize policy studies, but I feel like -- I feel like  
15 the power of biomonitoring is very strong in terms of  
16 intervention studies to show that people got an air  
17 cleaner and their body burden dropped, or they changed  
18 their cosmetics and their -- it's a very -- it's a very --  
19 it's a very powerful tool for advocating certain changes.

20 And I'm just wondering if we should more  
21 explicitly say that. I think we talk about intervention  
22 studies, but it's kind of very modest language, I guess.  
23 So I'm just wondering if that is a priority for the  
24 Program and we should be maybe call it out.

25 Thank you. I hope that wasn't too long.

1 MS. HOOVER: Hi, Jenny and Meg. Sorry, I know we  
2 have one minute. Meg, I think if you go back to the Leg.  
3 6 recommendations, there was a recommendation about  
4 linking to -- connecting to evaluate the effectiveness of  
5 regulatory programs. I think that might be sort of along  
6 the lines you're talking about, Jenny. Is that -- or you  
7 can -- you can think about a rephrase, if you'd like to  
8 get more of your concept.

9 PANEL MEMBER QUINTANA: Well, I think that would  
10 be great for say CARB's clean diesel projects, that bullet  
11 point, but even things that are not linked to regulatory.  
12 Yeah, so like just maybe --

13 MS. HOOVER: Yeah. Like shifting market -- you  
14 know, market shift.

15 PANEL MEMBER QUINTANA: Yeah, like green --

16 MS. HOOVER: Yes.

17 PANEL MEMBER QUINTANA: -- using greener cleaners  
18 on something like that to put in there.

19 MS. HOOVER: Yeah, yeah, yeah.

20 PANEL MEMBER QUINTANA: Yeah, that's what I mean,  
21 I guess, as well.

22 MS. HOOVER: Yeah, that makes total sense. So  
23 what I -- I'm going to just chime in and say that Jenny's  
24 comment about oh, is the Panel going to work on this  
25 during the break? Not exactly. However, what we could



1 consider, since we're almost out of time, Meg needs a  
2 volunteer to help her work on the letter. We also could  
3 consider, if we have time at the end with the open public  
4 comment period, to let you guys look at this more, and  
5 then we could come back to that, just so you can say,  
6 okay, here are our favorite top 10 priorities, if you want  
7 to do that, because we need to do that in a public  
8 meeting. We can't do that off-line and you can't like --

9 PANEL MEMBER QUINTANA: I actually just -- all I  
10 recommended that you guys put numbers on these during the  
11 break, so we could vote for our numbers, that's what I was  
12 saying just to be clear.

13 MS. HOOVER: Well, I was talking about the vote.  
14 The vote, that would happen --

15 PANEL MEMBER QUINTANA: Because these -- well  
16 these are -- these are not -- not vote, but these are not  
17 numbered, so we can't say I really like number 6 and  
18 number 9. It's hard for us to --

19 MS. HOOVER: Yeah, these were not intended to be  
20 -- these are just --

21 PANEL MEMBER QUINTANA: Yeah.

22 MS. HOOVER: -- summarizing what you guys have  
23 told us before. They're not intended to be the official  
24 recommendations that we're saying we would include.  
25 They're just food for thought, which I emailed -- you

1 know, we emailed to you ahead of time a lot of your past  
2 input. Anyway, I'm going to pass it back to Meg and Meg  
3 you can decide how you want to proceed.

4 DR. WU: I was also going to suggest -- this is  
5 Nerissa -- that we can create a slide that has these more  
6 clustered onto fewer slides, so that you have something  
7 that's a little more easily viewed for the next  
8 discussion.

9 CHAIRPERSON SCHWARZMAN: Yes. And as I  
10 understand Jenny's comment, which I would support, the  
11 request for numbering isn't to order them or prioritize  
12 them, it's simply to give us a way to communicate over  
13 this thing to point to. Instead of saying the middle  
14 bullet, we can say idea number 7. So it's just  
15 (inaudible)

16 MS. HOOVER: Yes, I understood that. I'm just  
17 trying to figure out the mechanisms of how you're going to  
18 communicate that information to us, because we're moving  
19 on to our next item now, so that's my point. It needs to  
20 be in the meeting. So why don't we say, yes, we will --  
21 like Nerissa said, she'll create a consolidated slide with  
22 all of these numbered. You know, maybe what we can do is  
23 in the lunch period, we'll put it up on screen, along with  
24 the other advice about we're on lunch and then you guys  
25 can view it. We can also email it to you, but we need to

1 provide it to the public as well. And then we can circle  
2 back in the open public comment period, if there's time,  
3 to say -- to have last comments from the Panel. Does that  
4 sound like a reasonable plan?

5 PANEL MEMBER QUINTANA: (Nods head).

6 CHAIRPERSON SCHWARZMAN: That sounds fine.

7 MS. HOOVER: Okay.

8 CHAIRPERSON SCHWARZMAN: I need a -- I need a  
9 volunteer, and it's just one, because of Bagley-Keene, to  
10 work with me doing this summary once we feel like we have  
11 an indication from the Panel. Is there somebody who would  
12 work with me on doing that basic summary to the Program?

13 And we don't get to go on to our next agenda item  
14 until I have a volunteer.

15 PANEL MEMBER QUINTANA: (Hand raised).

16 CHAIRPERSON SCHWARZMAN: Jenny, thank you very  
17 much.

18 Okay. So we will take what we can from today  
19 from later discussion, and Jenny and I will work with it,  
20 and then, you know, we will pass -- I assume -- we'll work  
21 with staff on how to pass it back by the Panel for sort of  
22 approval.

23 So thank you all for that discussion. And I want  
24 to go on. We're going to go on and have our update on a  
25 biomonitoring study in an AB 617 community. So I want to

1 introduce Susan Hurley. Susan is a Research Scientist in  
2 the Safer Alternatives Assessment and Biomonitoring  
3 Section of the Office of Environmental Health Hazard and  
4 -- Hazard Assessment. Susan will be providing an update  
5 on the targeted biomonitoring study that's being planned  
6 in an AB 617 community. And I'll let her describe the  
7 rest.

8 MS. HURLEY: Okay. Thank you, Meg. Let me just  
9 get my slides up here.

10 (Thereupon a slide presentation.)

11 MS. HURLEY: Can you all see that?

12 CHAIRPERSON SCHWARZMAN: (Thumbs up).

13 MS. HOOVER: Yes.

14 MS. HURLEY: No. Yes. Okay. All right. Now,  
15 I've just got to get rid of this. Just give me a second.

16 Sorry. Okay. So good morning, everyone. Before  
17 I start talking about the plans for our study, I just  
18 wanted to start my presentation with a little bit of  
19 background about how this study fits in with AB 617  
20 activities.

21 --o0o--

22 MS. HURLEY: And then I'll give a brief update on  
23 what we've been up to since the last time we presented on  
24 this project, which was back in November -- last November.  
25 Then I'll go through some of the specific plans we've got

1 for our targeted biomonitoring study, and finish up with  
2 some challenges that we're still grappling with and hope  
3 to get some input from all of you on today.

4 --o0o--

5 MS. HURLEY: So AB 617 was passed in 2017. It's  
6 goal is -- it's overarching goal is to reduce exposures in  
7 communities that are disproportionately impacted by air  
8 pollution. So it requires engagement with communities to  
9 develop and implement air monitoring plans, as well as  
10 exposure reduction strategies. And to help implement AB  
11 617, the California Air Resources Board, or CARB,  
12 established the Community Air Protection Program.

13 --o0o--

14 MS. HURLEY: Now, OEHHA is providing support to  
15 CARB, as well as the air districts, and communities in a  
16 number of ways, including evaluating and interpreting  
17 potential health effects from air exposures, as well as  
18 evaluating health benefits from reducing those exposures.  
19 We're also identifying and tracking community air  
20 pollution concerns. And then we are designing and  
21 implementing targeted biomonitoring studies in AB 617  
22 communities.

23 And so the goals of these biomonitoring studies  
24 are first to increase our understanding of air pollution  
25 exposures that are faced by people living in these

1 communities and also to evaluate specific emission and  
2 exposure reduction measures that these communities are  
3 pursuing.

4 So we're currently planning our first AB 617  
5 biomonitoring study and that will be the topic of the rest  
6 of my talk today.

7 --o0o--

8 MS. HURLEY: So we've been busy from -- really  
9 from the very early stages of our planning process, we've  
10 been engaging with AB 617 communities. We've done this  
11 through regularly attending community steering committee  
12 meetings, which has helped us learn a lot about the  
13 community's concerns, as well as some of the exposure  
14 mitigation strategies that they're pursuing.

15 We've also been meeting with community  
16 organizations within these communities. And this has  
17 really helped us to identify possible sites for our study.

18 We also have been developing or we have developed  
19 a study protocol and we've drafted the study materials.  
20 We've submitted those to the California Committee for the  
21 Protection of Human Subjects, which is the State IRB, and  
22 have obtained deferred approval, pending just some minor  
23 revisions, which we did submit a few weeks ago. So we  
24 anticipate having full approval soon, so that was -- that  
25 was a big accomplishment.

1           And now we are currently seeking school district  
2 approval to conduct the study in a public elementary  
3 school in Stockton.

4                               --o0o--

5           MS. HURLEY: So like all AB 617 communities,  
6 Stockton shoulders a disproportionate burden of air  
7 pollution exposures, as well as adverse health outcomes.  
8 For example, it ranks in the 94th percentile in the state  
9 for PM2.5. It also ranks at or above the 95th percentile  
10 for indicators of asthma, cardiovascular disease, and low  
11 birth weight.

12                              --o0o--

13           MS. HURLEY: The exposure concerns in Stockton,  
14 these are the ones highlighted in Stockton's Community  
15 Emissions Reduction Plan, include mobile sources,  
16 industrial processes, and port operations. Most of these  
17 exposure concerns are pretty similar to those expressed in  
18 many of the other AB 617 communities throughout the state.

19                              --o0o--

20           MS. HURLEY: So the main objectives of our  
21 biomonitoring study are first just to learn more about air  
22 pollution exposures to children who are living in  
23 disproportionately impacted communities and to evaluate  
24 the effectiveness of school air filtration at reducing  
25 children's air pollution exposures.

--o0o--

MS. HURLEY: So we're planning to conduct our study in a public elementary school located within an AB 617 community. As I previously mentioned, we're currently targeting a school in Stockton, which is in the northern part of the San Joaquin Valley. We -- as we researched potential sites for our study, we concluded that the best option would be to do it at a school that already has advanced air filtration installed in its HVAC system. And this was really for reasons of both feasibility and timing.

And, excuse me, MERV 16 filters provide the most effective filtration of fine and ultrafine particles. So we're hoping to do it in a school that has that installed.

--o0o--

MS. HURLEY: We are -- our target is to recruit from one school 60 children who are between the ages of 7 and 13 and who are in grades 2 through 6. We will be allowing only one child per household. And we also will be enrolling one parent or guardian for each child who will help with the urine collection and also will be completing questionnaires. And all participants will need to speak either English or Spanish.

--o0o--

MS. HURLEY: So before going into the specific



1 details, I thought it would be useful just to provide a  
2 broad overview of our study design, so you can get a feel  
3 for the general picture of what we're doing.

4 As I mentioned previously, we are hoping to  
5 conduct the study at a school that already has MERV 16  
6 filters installed in its HVAC system. And then as part of  
7 the study, we will also be providing additional  
8 stand-alone air filtration units in the classrooms for  
9 half the children who are in the study. And these  
10 stand-alone units not only filter for particulate matter,  
11 but they also will filter for VOCs.

12 And then we'll be collecting urine from the kids  
13 in the study. And then we'll be conducting biomonitoring  
14 for metabolites of PAHs and VOCs. And we'll also be  
15 measuring levels of biomarkers for oxidative stress and  
16 inflammation. We'll also be conducting some complementary  
17 air monitoring and sampling. And to help inform and  
18 interpret the biomonitoring results, we'll also be  
19 collecting additional information in other ways, such as  
20 through questionnaires and by doing walk-throughs of the  
21 classrooms, and the school, and the surrounding  
22 neighborhood.

23 --o0o--

24 MS. HURLEY: So for the urine collection, we're  
25 planning to collect four urine samples from each child in

1 this study. So the urine will be collected on two  
2 separate days over a two-week time period. So the first  
3 two samples will be collected on one day during the first  
4 week. And then the second set of urine samples will be  
5 collected on another day the following week.

6 So at the start of this study, our 60 children  
7 will be drawn from a minimum of two classrooms and split  
8 into two groups. So for the first day of urine  
9 collection, all children in both groups will be in  
10 classrooms with only the MERV 16 already installed. So  
11 during this first week there actually will be no  
12 difference in the two groups. And then the first day  
13 of -- the first sample of the day will be collected before  
14 school. So immediately -- ideally a first-morning void.  
15 And then the second sample will be collected after school,  
16 so after the child has spent the day breathing the  
17 filtered air at school.

18 Then after this first week when we've got all the  
19 urine collected and before the second week, we will  
20 install stand-alone air filtration units in the classrooms  
21 of half the children in the study.

22 --o0o--

23 MS. HURLEY: So in this schematic here, we're  
24 talking about group two. Those will be the children with  
25 the stand-alone air filtration units.

1           And then during this week, we will repeat the  
2 same urine collection protocol that we did during the  
3 first week. So, you know, on one day, we'll collect one  
4 sample before school, and then the other sample after  
5 school.

6           And for this week, the before and after  
7 biomarkers for group one and group two will allow us to  
8 evaluate the effectiveness of MERV 16 filtration alone,  
9 compared to MERV 16 combined with the additional  
10 stand-alone filtration.

11                   --o0o--

12           MS. HURLEY: So for the biomarkers of exposure  
13 that we'll be measuring, we'll include urinary metabolites  
14 for specific air pollutants, including these four --  
15 metabolites of these four PAHs, as well as the stable  
16 metabolites of these six VOCs that are listed here. And  
17 the analyses will be done at UCSF under the direction of  
18 Peyton Jacob.

19                   --o0o--

20           MS. HURLEY: Then we also will be with measuring  
21 8-isoprostane and 8-hydroxy-2'-deoxyguanosine, which are  
22 both biomarkers of oxidative stress. We also will be  
23 measuring biomarkers of inflammation, including CC-16 and  
24 Leukotriene E4. And these analyses will be conducted by  
25 Nina Holland's lab at UC Berkeley.

1                               --o0o--

2               MS. HURLEY:  So to help inform the biomonitoring  
3 results, we will be administering questionnaires to gather  
4 information on factors that either influence the air  
5 pollution exposures or might impact the biomarkers of  
6 oxidative stress and inflammation.

7               But parents will have the opportunity of  
8 completing the questionnaire online or on paper.  We will  
9 ask them to complete the questionnaire on each collection  
10 day after they give us their child's urine samples, and  
11 this is so that we can capture the relevant time frame of  
12 exposure.

13              The topics that we are currently considering for  
14 the questionnaires include information on demographics,  
15 some household characteristics and recent household  
16 activities.  We are looking at including information about  
17 the child's diet, recent activities, and indicators for  
18 certain health conditions and medication use.

19              And, you know, given our small sample size, we  
20 won't be able to account for a whole lot of factors in our  
21 statistical analysis, so we really want to be very  
22 thoughtful about which factors we include on this  
23 questionnaire -- on the questionnaires to really make sure  
24 we're capturing the factors that are most important for  
25 interpreting the biomonitoring results.

1           We also obviously want to keep the questionnaire  
2 short just to minimize the burden on our participants.

3                           --o0o--

4           MS. HURLEY: So as is mandated by Biomonitoring  
5 California's enabling legislation, the individual  
6 biomonitoring results will be returned to parents who ask  
7 for them. We did get IRB approval to send the results  
8 packets electronically, so that actually will save us  
9 quite a bit of work, so that's -- that was good news. The  
10 packets will include fact sheets on the measured  
11 biomarkers, as well as possible ways to reduce air  
12 pollution exposures.

13           We already have a fact sheet for PAHs as a class,  
14 but -- and so now we are starting to develop fact sheets  
15 for the VOCs as well as for the biomarkers of oxidative  
16 stress and inflammation. An important part of returning  
17 results for the biomarkers of oxidative stress and  
18 inflammation will be to develop the right language for  
19 explaining these as additional indicators of exposure.  
20 We're not going to be giving health interpretations for  
21 these biomarkers.

22                           --o0o--

23           MS. HURLEY: So to support the interpretation of  
24 our biomonitoring results, we also will be conducting  
25 complementary air monitoring and sampling. This will

1 include real-time air monitoring for particulate matter  
2 and black carbon. We also will be collecting air samples,  
3 which will be analyzed for PAHs and VOCs. And the  
4 monitoring and sampling will be done both inside and  
5 outside the classroom at participating classrooms, some  
6 selected indoor common areas, and some other locations  
7 outside the school on school grounds.

8           So all of these pollutants have been previously  
9 linked at least to some of the biomarkers that we're  
10 measuring and we think these data will be really essential  
11 to interpreting our biomonitoring results.

12                   --o0o--

13           MS. HURLEY: Our -- pending school district  
14 approval we are planning to start recruitment in  
15 September. We need to get out in the field by early  
16 November, so that we can get all of our urine samples to  
17 the labs by Thanksgiving. Then the laboratory assays and  
18 data analyses will happen over the winter and spring,  
19 and -- so that we can return results to participants next  
20 summer, so the summer of 2022. And then we will be  
21 presenting the, you know, main findings of the study to  
22 the community in the fall, so fall 2022.

23                   --o0o--

24           MS. HURLEY: And our most immediate next step is  
25 to get school district approval to conduct the study.

1 Once we get that approval, we need to do a site visit and  
2 talk to school officials to get more information about the  
3 school, so we can plan some of the final details of our  
4 study protocol. This information -- you know, we need to  
5 get information about some of the physical characteristics  
6 of the school, like what type of HVAC and air filtration  
7 systems, you know, the details of that, details of the  
8 classroom, and of the children's schedule. It would also  
9 be useful to get some more information about the meal  
10 programs at the school.

11 We also are continuing to develop and refine the  
12 study protocol. For instance, you know, we're still  
13 trying to nail down the best timing for our afternoon  
14 sample collection. We need to identify specific  
15 recruitment events or school events for which -- you know,  
16 that we could use to recruit families into the study. And  
17 as I said, we are working to develop and refine the  
18 content of the questionnaires.

19 --o0o--

20 MS. HURLEY: So as we're trying to tie up the  
21 final details of our study protocol, there remain a few  
22 challenges that we're still grappling with. First is our  
23 limited ability to restrict diet. This is probably most  
24 problematic for interpreting our PAH results, since  
25 dietary sources can be a significant contributor. And

1 while we can't prescribe a specific diet, we are planning  
2 to offer guidance on recommended foods. Since many of the  
3 kids who attend schools in AB 617 communities do receive  
4 food through the subsidized meal program at school, we  
5 will obtain school menus in advance, so that we can point  
6 to specific foods to avoid on the days of urine  
7 collection.

8 In terms of our screening criteria for the study,  
9 you know, we considered prescreening for asthma and  
10 household smoking, but ultimately ended up not including  
11 these factors in our inclusion criteria. This was partly  
12 because we were concerned about being able to enroll a  
13 sufficient number of participants. We also want the  
14 study -- this is a community-based study. We really want  
15 it to be inclusive, so that any students or families or  
16 all students and families that are interested have the  
17 opportunity to participate. But, you know, we do  
18 recognize these are important factors. And given that we  
19 thought it might -- it's worth raising as a -- this is a  
20 topic for possible discussion today.

21 Let's see, as I mentioned earlier, we are in the  
22 process of developing and refining questionnaires to make  
23 them as -- you know, as parsimonious as possible, but also  
24 making sure that we do capture the most important factors  
25 that we need to interpret the biomonitoring results.



1 Another issue that -- you know, challenging issue  
2 we're facing is figuring out how to best interpret and  
3 explain the biomarkers of oxidative stress and  
4 inflammation as indicators of exposure.

5 And then finally, we are trying to make some  
6 contingency plans for potential issues that might arise  
7 like delays in school approval, and the occurrence of  
8 wildfires during our sample collection. So we welcome  
9 comments and input on these challenges, as well as  
10 anything else that I've presented this morning. After  
11 hearing from our guest speakers, we will have an  
12 opportunity this afternoon to delve further into some of  
13 these issues here, as well as other study design and  
14 interpretation issues that anyone in the Panel, or  
15 audience, or any of our guest speakers would like to  
16 raise.

17 --o0o--

18 MS. HURLEY: Before though I -- before we go to  
19 questions and discussion, I would like to take a moment to  
20 acknowledge our study team. This is a multi-institutional  
21 collaborative effort, including researchers from OEHHA,  
22 from the California Department of Public Health, as well  
23 as UC Berkeley, UC Merced, and UCSF.

24 --o0o--

25 MS. HURLEY: And then finally, I'd like to give a

1 shout-out to our community partner Matt Holmes of Little  
2 Manila Rising, who has provided invaluable support to us.  
3 Early on, he helped us brainstorm ideas for study sites  
4 within Stockton. He's also served as a liaison in our  
5 talks with school district staff. So we're very  
6 appreciative of his help so far and are really looking  
7 forward to continuing to work with Matt as we launch and  
8 conduct this study.

9 So with that, I will open it up to questions and  
10 discussion. Thank you.

11 CHAIRPERSON SCHWARZMAN: Thank you, Susan. We  
12 have just a couple minutes for clarifying questions only  
13 from the Panel, and then we'll have public comment, and  
14 then we'll have public -- the Panel discussion. So just  
15 any clarifying questions for Susan at this point.

16 Jenny.

17 We're not hearing you, Jenny.

18 PANEL MEMBER QUINTANA: Sorry. I don't have the  
19 slides in front of me. I can't seem to bring them up, but  
20 can you remind me when you're planning to collect the  
21 samples, the timeline slide went by pretty quickly.

22 MS. HURLEY: Oh, yeah, sure.

23 PANEL MEMBER QUINTANA: Can you tell me what time  
24 of year?

25 MS. HURLEY: Yeah. Early November.

1 PANEL MEMBER QUINTANA: Okay. And was that  
2 selected because that was the most polluted month?

3 MS. HURLEY: Well, it is one of the more polluted  
4 months. It was -- you know, winter is the best time to do  
5 it. We didn't want to do it too early, because, you know,  
6 ideally it would be good not to do it during wildfire  
7 season. We -- and then we couldn't do it too late in the  
8 winter, because we need to get our -- with our timeline  
9 for getting the samples to the lab. We, you know,  
10 couldn't push it too far back. So we think November is a  
11 good window.

12 PANEL MEMBER QUINTANA: Then I guess my second  
13 question, sorry, was you were saying you'd want to avoid  
14 wildfires, but it seems like it's such a difficult thing  
15 to get this whole study set up, that it seems like you  
16 might want to ask for additional funding if there were a  
17 fire to quickly roll out your protocol and see the effect  
18 of the filtration on the fires as well, because that's  
19 obviously a huge interest to people. And I was just  
20 curious if you thought about trying to augment the study.  
21 That way given that the logistics are the hardest part of  
22 getting all this stuff ready to roll or augment your IRB,  
23 I guess.

24 MS. HURLEY: Yeah. Well, I don't know that that  
25 type of modification would require us to modify our IRB.

1 Sara, I don't know if you want to chime in here and --

2 CHAIRPERSON SCHWARZMAN: Let me butt in for a sec  
3 just to suggest that we leave this for the discussion  
4 portion.

5 MS. HURLEY: Okay.

6 CHAIRPERSON SCHWARZMAN: I think Tom has a  
7 clarifying question and we'll return to this.

8 PANEL MEMBER MCKONE: Yeah. This is -- I had a  
9 clarifying question and I think it should probably  
10 rollover to discussion too, but my question is what was  
11 the basis for choosing MERV 16?

12 MS. HURLEY: Well, actually, this -- it's sort  
13 of -- that wasn't the -- at the forefront of our criteria  
14 for where we do this study. We really -- because of our  
15 timeline and what's going on in the schools right now, we  
16 found a school that we think is a great site, which  
17 already has MERV 16 filtration. And that is actually a  
18 benefit, because it is, you know, the most effective  
19 filtration that's out there, but it -- that was sort of a  
20 bonus of the school that we were looking at. Yeah.

21 PANEL MEMBER MCKONE: Right. Well, I'll save  
22 this for discussion, but the concern I raise is that the  
23 Air Resources Board says MERV 13 or above. And the risk  
24 of going higher is that it increases the -- as you go up,  
25 you get more filtration, but you get most of the benefits

1 starting at 13. And when you get to 16, you're putting a  
2 higher load on the HVAC system, so you're using more  
3 energy. So my concern is that if this study establishes  
4 16 as the benchmark instead of 13, then we're going to  
5 have this -- all these schools wanting to go out and buy  
6 MERV 16. And then their energy costs are going to go up  
7 and that may not be necessary.

8 I mean, it's kind of subtle, but we can discuss  
9 this more, but I do think one has to be careful in  
10 realizing that if this study uses 16, it will set a  
11 benchmark, instead of Air Resources Board Lawrence  
12 Berkeley Lab say 13 and above.

13 MS. HOOVER: Yeah. I'll just chime in here real  
14 quick, Tom. I know we need to move on to the discussion  
15 or public comment, Meg. So ideally I think CARB did want  
16 MERV 16. They actually had to change their regulations to  
17 allow MERV 13, so I think we can take that into account in  
18 messaging. And this school, that would be part of the  
19 evaluation of their HVAC system, if it could handle MERV  
20 16. At least that's what we believe occurred.

21 So we're not calling it a benchmark. As Susan  
22 said, we have an opportunity for a really important site  
23 to study and they already have this installed.

24 CHAIRPERSON SCHWARZMAN: I need to call for  
25 public comment and let's return to these issues in

1 discussion.

2 Shoba, is there any public comment that we should  
3 bring in at this point?

4 DR. IYER: Let's see. I'm not seeing anything in  
5 the -- anything new in the chat or questions. We do have  
6 a hand that was raised from earlier. Should I go ahead  
7 and see if the person can ask the question now?

8 CHAIRPERSON SCHWARZMAN: Yes. Let's see what  
9 that is.

10 DR. IYER: Great. So LeVonne Stone, I see you  
11 have your hand up. I'm going to unmute you and then  
12 you'll need to unmute yourself to share your comment or  
13 question.

14 LeVonne Stone, I've unmuted you. If you have a  
15 comment or question, you can unmute yourself and ask it.

16 MS. HOOVER: Shoba, I'm going to suggest that we  
17 recommend that she email her comment and we can move on,  
18 if there are any questions or comments.

19 DR. IYER: Yeah. Sure. That sounds good.

20 So LeVonne, please email us your comment or send  
21 it in via the chat or question feature. I also see that  
22 we have a hand up from Matt Holmes. So I'm going to  
23 unmute you now and that should give you permission to  
24 unmute yourself and ask your question.

25 MS. HOOVER: Shoba, maybe you do need to promote

1 them to panelists. Why don't you just go ahead and do  
2 that for Matt, or Stephanie.

3 MS. JARMUL: Yes, just did.

4 MS. HOOVER: Okay.

5 MS. JARMUL: Matt, can you unmute yourself by  
6 clicking the red button?

7 MS. HOOVER: Oh, boy. We're having the same  
8 problem that Carl had.

9 Matt, if you wouldn't mind emailing us your  
10 comment. You can send it to any one of us or the  
11 Biomonitoring email or you can post it in the GoToWebinar.  
12 I'm really sorry about these audio issues. I will --

13 MS. HOLMES: How about now?

14 MS. HOOVER: Oh, fantastic. Go for it.

15 MS. HOLMES: Yeah. Hallelujah. I'm glad it was  
16 my fault and not your fault.

17 I just wanted to say really quickly that I'm  
18 super grateful for Susan for really getting out in front  
19 of this. We've been talking since I think January. And  
20 that that's really like a prerequisite for working in a  
21 community like ours. It takes a very long time to develop  
22 these conversations. And, you know, it was really  
23 fortunate that this aligned with our community's  
24 priorities to protect schools, particularly this school  
25 that's in a cluster of emissions sources. And so that's

1 just my little soapbox to all the scientists out there, be  
2 sure to talk to communities early and often. Sometimes  
3 you all do research that isn't relevant to us. But this  
4 certainly is and so I think this is a special study and  
5 we're grateful for the attention.

6 And then the other comment I would make is about  
7 the MERV 16 versus MERV 13. I think a lot of those -- the  
8 horse trading around whether or not we need to have a high  
9 enough filter is really based on economics that don't  
10 concern me. And I think part -- you know, just simply,  
11 you know, spending less at a school because of energy  
12 costs is not what I think about when I think about  
13 protecting my students.

14 And I'll just also point out that most of these  
15 schools have used, you know, their ability to borrow to  
16 build up significant solar capacity on campus. And so  
17 that they -- they're pretty flush with electricity. And  
18 so I would hope to set the highest benchmark possible for  
19 our most valuable resource, you know, young human brain  
20 tissue. So I'm glad that there was already a SEP in place  
21 and that this system was already upgraded. And it's  
22 absolutely my hope to upgrade as many systems to the  
23 highest grade possible as a community advocate.

24 But look forward to learning more from you all.  
25 Thanks so much for bringing first rate science to a part



1 of California that doesn't always enjoy that kind of  
2 attention.

3 CHAIRPERSON SCHWARZMAN: Thanks so much for the  
4 comment, Matt, and for your involvement.

5 Sorry.

6 I appreciate the comment, Matt, and also your  
7 involvement in the program.

8 We have time now until -- we have 20 minutes for  
9 Panel discussion of this. And there is also there's some  
10 overlap here, because we have a discussion on the  
11 questions that Susan has put forth wanting feedback on.  
12 We have time for that this afternoon. And so I just want  
13 to continue kind of open back up these two issues that  
14 were raised by Jenny and by Tom for further discussion.

15 MS. HOOVER: I'm going to suggest to Susan why  
16 don't you put the challenges slide back up as well right  
17 now.

18 MS. HURLEY: Okay. There we go.

19 CHAIRPERSON SCHWARZMAN: So anything more to say  
20 about the MERV 13, MERV 16? I mean, I appreciate, Tom,  
21 your comment that there are significant -- you know, that  
22 the significant gains start at 13, as well as appreciating  
23 Matt's comment about like let's put in place the highest  
24 possible protection. So any reflections on that?

25 PANEL MEMBER MCKONE: No. That's a -- yeah,

1 that's a good point, and especially -- I mean, it's really  
2 encouraging to hear that the schools are electrified,  
3 because that means you're not -- you know, our concern is  
4 always that somebody puts in a MERV filter -- I mean, I do  
5 this. I collect a lot of data from my own home. And we  
6 spend -- we ran a 600-watt motor day and night through a  
7 MERV filter when the wildfires were there. And it's  
8 effective, but you know, it's a cost. But we do have  
9 solar energy, so we were making up most of it for that, so  
10 that -- that does make a difference.

11 I actually wanted to raise another filtration  
12 point, which is on the -- on the additional filters, which  
13 would be the stand-alone filters. Now the one thing about  
14 a MERV 13 or 16 is it's not going to get the volatile  
15 chemicals. It's really only going to get particle-bound  
16 chemicals.

17 But in the market for stand-alone units, there  
18 are several units out there that are available, the higher  
19 quality unit, for example Austin Air, I think -- I  
20 shouldn't name brands, but there are brands -- there's  
21 five or six brands that actually have particle filtration,  
22 but they also include activated carbon or permanganate or  
23 other layers that will take out chemicals as well as  
24 taking out fine particles.

25 So you can remove -- the MERV filters really

1 won't remove volatiles to any significant extent unless  
2 the volatiles are particle bound. But the stand-alone  
3 units, if you buy the right kind, particularly with  
4 activated carbon, they're going to be much more effective.  
5 So I don't know if this is an issue you're looking into,  
6 but it is -- and again, it gets into they do -- you know,  
7 there's a lot of studies that show those can make a big  
8 difference in air quality for chemicals, other than  
9 particles.

10 MS. HURLEY: Okay. Do I need to raise my hand  
11 to --

12 CHAIRPERSON SCHWARZMAN: Go ahead, Susan.

13 MS. HURLEY: Okay. Yes, we are looking into  
14 that. We have identified -- you know, when we were  
15 putting out budget together, we identified a stand-alone  
16 filtration unit that does target not just particulates,  
17 but also VOCs. But we are now, you know, as we're getting  
18 ready to actually gear up to do this study, we are  
19 continuing to look to make sure that we get the best  
20 stand-alone to address VOCs, because we would like to do  
21 that. So if you have any, you know, advice on that, we'd  
22 love to hear it.

23 PANEL MEMBER MCKONE: Well, I mean, just a quick  
24 suggestion, and I think -- and I can help you with this,  
25 is the people at Lawrence Berkeley Lab who analyze these

1 filters --

2 MS. HURLEY: Um-hmm.

3 PANEL MEMBER McKONE: -- and their  
4 effectiveness -- and again, I think -- you know, I have a  
5 brand, my favorite, but there's probably four or five that  
6 are really well rated in removing a much broader spectrum  
7 of pollutant.

8 MS. HURLEY: Um-hmm.

9 MS. HOOVER: Great, Tom, and we can connect with  
10 you one-on-one off line. So, Meg, back to you to keep  
11 going on the discussion.

12 CHAIRPERSON SCHWARZMAN: I think Jenny had her  
13 hand up.

14 PANEL MEMBER QUINTANA: I had kind of a broader  
15 question or comment. One is that I'm thinking about what  
16 you really are trying to learn with biomonitoring, because  
17 if you're just looking to see if the air filters are  
18 effective, you can do that by measuring air quality and  
19 VOCs in the air when they're running and when they're not  
20 running. So you could use air monitoring alone to answer  
21 the question if the filters are effective.

22 But what you're really asking with biomonitoring  
23 is does that make a difference to their overall day? You  
24 know, does -- do you -- given everything else, the other  
25 16 hours when they're not a school, et cetera, is this

1 intervention effective in reducing their actual burden  
2 day-to-day? So that seems to me that's what biomonitoring  
3 is asking for this study.

4           So -- and I'm just thinking of -- and I don't  
5 know about this school, and maybe schools don't have this,  
6 but a lot of exposure is going to happen on the  
7 playground, not only that it's the time that they spend  
8 during recess, but the time that they're breathing much  
9 harder running around than they are sitting in the  
10 classroom. So that's going to represent -- a large part  
11 of their exposure is going to be outside on the  
12 playground.

13           And so I guess one question is -- and I don't  
14 know the timing of the recess, but -- and the half-lives  
15 of the biomarkers exactly, but you may wish to look at the  
16 biomarkers when they have -- you know, after they've  
17 finished running around, or some time where they're not  
18 affected by this, or how have -- if they have an  
19 air-conditioned gym that they do recess in the gym,  
20 because what you might find out that there's -- that a lot  
21 of their exposure does come from outside when you do look  
22 at the air concentrations and model their activity. And  
23 so -- but you don't want to overlook the benefits perhaps  
24 of doing recess in clean air.

25           So I'm just -- I just want to bring that up and I

1 don't know -- our schools that I work with do not have air  
2 conditioned gyms that they can use for recess, and  
3 elementary schools typically don't have gyms. So it's  
4 just something to think about, because there's exposures  
5 at school that are not, you know inside the classroom, I  
6 guess. And I have other recommendations for the study,  
7 but I guess it sounds like we have another time later. I  
8 can also make them later. If we have more time now, I can  
9 come back and make those other recommendations, but I'll  
10 stop with that right now.

11 CHAIRPERSON SCHWARZMAN: Yeah. Why don't you  
12 hang on to that for the moment. We may well have time for  
13 them now, but we definitely have more time later also.  
14 And I'll just see what else there is out there for the  
15 moment.

16 Veena.

17 PANEL MEMBER SINGLA: Thank you. My comment and  
18 question is about the kind of additional information to be  
19 collected about the school and the building. And, you  
20 know, I would just say it's really important to try to  
21 document as much information as possible about the  
22 building characteristics like air infiltration rate, has  
23 the school had kind of energy efficiency upgrades or  
24 retrofits that might have addressed kind of air sealing  
25 and other aspects of the building that could affect air

1 infiltration.

2 And, you know, related to that, VOCs indoors can  
3 reflect infiltration of VOCs from the outdoors to the  
4 indoors and can also reflect indoor sources. So to the  
5 extent there's any information available on potential  
6 indoor sources of VOCs, like recent painting, or sealing,  
7 or caulking like kind of building improvements, that could  
8 affect indoor levels of VOCs. It would be helpful to  
9 collect that information as well.

10 And then my other comment was -- a comment and a  
11 question is if there's any plan for activities that might  
12 involve the participants, the children in kind of  
13 engagement with this topic or the science -- I'd noticed  
14 Asa Bradman is on the study team and he has a lot of  
15 experience with this -- with CHAMACOS, so I wondered if  
16 you could comment on that?

17 MS. HURLEY: Yeah, that's a great question. We  
18 are very much hopeful that we can involve the students,  
19 you know, in the -- actively engage them in this study.  
20 Because we actually don't have permission yet to get into  
21 the schools, we haven't started, you know, planning that.  
22 But it's certainly on our wish list. And you're right,  
23 Asa has got great experience in that, so we're hoping to  
24 do that.

25 CHAIRPERSON SCHWARZMAN: Ulrike.

1 PANEL MEMBER LUDERER: Turn my audio on. Thanks  
2 for that really interesting presentation. And it sounds  
3 like I think it's going to be very exciting study. I had  
4 some questions about the PAHs and the diet. You know, you  
5 mentioned that you were going to try to look at the menus  
6 for the school meals. But I was wondering -- I hope that  
7 you're also planning in your questionnaire to ask about  
8 barbecued or grilled food consumption, you know, during  
9 the day before, because that -- it could be at home as  
10 well. So that's an important thing when you're looking --  
11 if you're looking at PAHs.

12 And then other question was, maybe you said this,  
13 but the air monitoring and sampling, is it -- is it going  
14 to be indoor and outdoor all the sampling? You know,  
15 between --

16 MS. HURLEY: Yes

17 PANEL MEMBER LUDERER: -- the different things  
18 that you're looking at, you know the Purple Air, black  
19 carbon, VOCs, PAHs.

20 MS. HURLEY: Yeah. We're going to -- we're going  
21 to do everything indoor and out. And with respect to the  
22 PAHs, yes, we definitely will have on our questionnaire  
23 questions regarding what they've eaten in the last 24  
24 hours or so. But we're also hoping to try to, as much as  
25 we can, advise them to avoid the PAH-laden foods, so



1 that we don't have as much adjustment that we have to do  
2 in our analyses.

3 PANEL MEMBER LUDERER: Yeah. And just to  
4 comment, I mean, it's great that you're doing -- you know,  
5 the PAHs -- the biomonitoring that you're doing is really  
6 going to give you the metabolites of the lower molecular  
7 weight PAHs. And a lot of the higher molecular weight  
8 ones that we're concerned about that are mutagenic, et  
9 cetera, you can't measure really in urine those  
10 metabolites, so --

11 MS. HURLEY: Yeah.

12 PANEL MEMBER LUDERER: So I -- your monitors, are  
13 they going to be able to speciate, you know, look at the  
14 different PAHs individually when you're doing the air  
15 monitoring?

16 MS. HURLEY: Yes, they will. I'm wondering, Asa,  
17 if you can talk a little bit more -- I don't know if you  
18 want to comment on that a little further. I don't have  
19 all the details of specifically what we're, you know,  
20 capturing.

21 MS. HOOVER: That's okay. I don't think we need  
22 to --

23 MS. HURLEY: Okay.

24 MS. HOOVER: We're almost out of time.

25 MS. HURLEY: Okay.

1 MS. HOOVER: And we can share the full list.  
2 It's a -- the full list of PAHs that we'll be speciating.  
3 We could do that for the VOCs as well.

4 PANEL MEMBER LUDERER: Great. Thanks.

5 CHAIRPERSON SCHWARZMAN: In a few minutes, we're  
6 going to transition to a talk by John Balmes. But as I  
7 understand it, he had a comment on this topic and  
8 presentation. I want to invite you to give that comment  
9 now, John, if you can manage to with the various audio  
10 (inaudible) that we have.

11 DR. BALMES: Well, can you see and hear me?

12 CHAIRPERSON SCHWARZMAN: Yes.

13 DR. BALMES: Amazing. Well, just -- I'll talk  
14 about CC16 in my talk, but the comment relates to Matt  
15 Holmes actually, because he has also been partnering with  
16 a group from UC Berkeley and UCSF that I'm part of. We  
17 put in for funding for the Attorney General's office for  
18 VW settlement money. It's called, you know, vehicular  
19 emissions whatever. And we will be planning to get  
20 (inaudible) -- we'll be doing if we funded. You know, we  
21 don't think we're going to be.

22 CHAIRPERSON SCHWARZMAN: John. I'm sorry to  
23 interrupt you.

24 DR. BALMES: We've been working with Little  
25 Manila (inaudible).

1 CHAIRPERSON SCHWARZMAN: John, (inaudible)

2 DR. BALMES: Yes.

3 CHAIRPERSON SCHWARZMAN: Oh, your audio and video  
4 froze for a minute and it got garbled. Do you mind  
5 restating that. You said -- the last we heard was about  
6 the vehicle -- vehicular settlement.

7 DR. BALMES: Yeah. Yeah. So if our group from  
8 UC Berkeley and UCSF is lucky enough to get funded, we'd  
9 be working with Matt Holmes and Little Manila Rising to  
10 put in a network of black carbon monitors at homes of  
11 children and adults with asthma. And I think it's in the  
12 same area that the school is in. Matt could correct me if  
13 I'm wrong, but that could be of interest to this study.

14 MS. HOLMES: Yeah. Can I chime in real quick and  
15 just affirm that, that this is the focus area of all of  
16 our study work, because of the cluster of stationary  
17 sources at the port and transportation sources all tangled  
18 around it.

19 And then I'll just also add that we had a  
20 similar -- not a similar, another proposal to the same  
21 fund with Dr. Bradman out of Merced to really characterize  
22 ambient air quality across the region with particulate  
23 matter and weather specificity, because we really want to  
24 model where the pollution is coming from. And we have --  
25 you know, we have ocean-going vessels that visit, you

1 know, several hundred feet upwind from the school. And no  
2 doubt diesel boilers are impacting the type of air they're  
3 breathing here at the school. So we'll be -- we should be  
4 able to get it -- if we -- we need to get these awards, so  
5 we can give you a really clear picture of the air around  
6 this school, so that Susan's study can help us corroborate  
7 that it's penetrating the school.

8 And then I'll just do a final plug. You know,  
9 the California Air Resources Board community air grants  
10 are out. We're currently formulating a proposal to  
11 address the gaps in between these studies. And so I loved  
12 the conversation that I heard about understanding  
13 programming at the school and time outside versus time  
14 inside, and the idea of, you know, issuing stay indoor  
15 alerts to principals. They could be based on preliminary  
16 data not regulatory action just led by a community  
17 partner. So if anybody wants to connect with me on that  
18 proposal, it will modify significantly depending on  
19 whether or not we get either of these justice department  
20 awards. So really excited to have all these things  
21 complement each other.

22 MS. JARMUL: This is Stephanie. Just confirming  
23 that was Matt Holmes who was speaking.

24 MS. HOLMES: Correct. Sorry.

25 CHAIRPERSON SCHWARZMAN: Great. Thank you, all.

1 We have just two minutes or so before we transition over  
2 to John Balmes' talk and a chance to circle back to these  
3 challenges that Susan has raised later this afternoon.  
4 But I just want to invite any final comments from the  
5 panelists or if you want to just mention something to kind  
6 of get on the agenda for the afternoon's discussion, so  
7 that we all have that in the backs of our minds as we move  
8 on.

9 Veena.

10 PANEL MEMBER SINGLA: Thank you. One other  
11 thought on some of the kind of building level  
12 characteristics that would be helpful to document, I'd say  
13 cleaning and disinfection protocols. And if it's possible  
14 to document some of the products used, so -- again  
15 speaking to potential sources of VOCs and the indoor  
16 environment.

17 CHAIRPERSON SCHWARZMAN: Great. Noted. Thank  
18 you. Any other -- Jenny, was that a hand? Yes.

19 PANEL MEMBER QUINTANA: Only if there's no other  
20 people. No?

21 I just wanted to put on the agenda for the  
22 afternoon two things. One is additional sampling measures  
23 that might be recommended and also questionnaire items  
24 that would be important, including how the kid gets to  
25 school, you know, do they walk to school, do they ride a

1 school bus? So some of -- you know, just some really  
2 important questions, I have some recommendations for.

3 And also I want to just say I'm not sure I would  
4 tell people what to eat, because you're trying to see if a  
5 recommendation works in the real world, you know. And  
6 even though it might help you find a signal, it -- again,  
7 what biomonitoring is telling you is how does this reduce  
8 exposure as assessed by these biomarkers under real-world  
9 conditions.

10 MS. HOOVER: And I'll just quickly chime in to  
11 say, Jenny, we have slides with the complete list of  
12 questionnaire topics that we'll be showing for the  
13 afternoon session. So, yeah, definitely, we have a  
14 comprehensive list for you guys to review and add to.

15 CHAIRPERSON SCHWARZMAN: Great. Thank you,  
16 Susan. And thank you to everybody who weighed in on that  
17 conversation. It's an exciting study to be launching and  
18 we'll have more chance to talk about it this afternoon.

19 As we get John's presentation teed up here, I  
20 want to introduce him as our first guest speaker. John  
21 Balmes is a professor of medicine Emeritus at UCSF and a  
22 professor of environmental health sciences Emeritus in the  
23 School of Public Health at UC Berkeley.

24 At UC Berkeley, he's also the Director of the  
25 Northern California Center for Occupational and

1 Environmental Health. He is also one of the principal  
2 investigators of the Children's Health and Air Pollution  
3 Study, CHAPS, in Fresno, which is what he'll be talking  
4 about today. And John has been studying the effects of  
5 occupational and environmental agents on respiratory,  
6 cardiovascular, and metabolic health for over 40 years.

7 He'll be discussing results from his recent study  
8 on traffic-related air pollution and biomarkers of effect  
9 in children in Fresno.

10 (Thereupon a slide presentation.)

11 DR. BALMES: So can you all see my slides?

12 CHAIRPERSON SCHWARZMAN: (Nods head.)

13 DR. BALMES: Okay. So -- and you can all see and  
14 hear me still?

15 CHAIRPERSON SCHWARZMAN: Yes, we can.

16 MS. JARMUL: Yes.

17 DR. BALMES: I'm in -- I'm in Tahoe and I think  
18 the internet connection is pretty good, but I guess it --

19 MS. JARMUL: There might be a slight delay, but  
20 we can see you, just so everyone is aware.

21 DR. BALMES: Okay. Can I just have some  
22 GoToWebinar assistance in terms of -- so right now, I have  
23 a -- well, I'm just going to go ahead. Anyway. Thank you  
24 for inviting me to speak on our work in Fresno with regard  
25 to traffic-related air pollution and biomarkers of effect

1 in children.

2 Okay. So advancing slides -- I'm used to  
3 advancing slides in Zoom.

4 MS. JARMUL: Did you just try clicking on the  
5 PowerPoint perhaps.

6 --o0o--

7 DR. BALMES: There it is. Click on the  
8 PowerPoint. Thank you.

9 Okay. So I don't have any financial conflict of  
10 interest, but I am the Physician Member of the California  
11 Air Resources Board. And I did actually have -- my ears  
12 perked up when CARB was discussed about AB 617 and MERV  
13 filters. No comment about those right now.

14 --o0o--

15 DR. BALMES: So I don't think it's a surprise to  
16 anybody, either panelists or the public, listening in that  
17 there's an epidemic of obesity in the U.S. And I didn't  
18 actually update this slide, but I think it's roughly  
19 accurate that up to 30 percent -- 38 percent of Americans  
20 are overweight and 35 percent are obese. It's really a  
21 huge problem. Seventeen percent of children ages 2 to  
22 19 are obese.

23 And there is like many health disparities in our  
24 country, there are disparities with -- based on people of  
25 color, with Latinx and African Americans having a greater



1 prevalence of obesity in terms of children than other  
2 racial ethnic groups. And this is an old slide. It only  
3 goes up through 2013, 2014, but it has continued to rise.

4 --o0o--

5 DR. BALMES: So it's thought to be primarily due  
6 to increased caloric intake from high consumption of  
7 sugar-containing drinks and high-caloric fast food, but  
8 also decreased energy expenditure from a sedentary  
9 lifestyle, basically, calories in versus calories out.

10 And there's increasing animal evidence that  
11 suggests that chemicals in the environment may be  
12 obesogens that contribute to risk of obesity,  
13 organochlorines, bisphenol A. This group expert in  
14 biomonitoring, you know, is aware of this.

15 --o0o--

16 DR. BALMES: Other environmental exposures that  
17 have been associated with obesity. Of course, I've  
18 already mentioned dietary composition. The gut microbiome  
19 is certainly a hot area of research. The built  
20 environment, through its role in either decrease --  
21 inhibiting or enhancing exercise, and then food  
22 consumption.

23 You know, how -- do you live in a food desert  
24 where you can't get healthy foods, and the only food  
25 options are not healthy. And then exposure to ambient air

1 pollutants, which is what the topic of my presentation is  
2 today. And there's a particular interest in whether early  
3 exposures in utero and early childhood lead to overweight  
4 and obesity in childhood -- later in childhood and then in  
5 adulthood.

6 --o0o--

7 DR. BALMES: So we know a little bit about air  
8 pollution obesity. There's actually a fairly robust  
9 literature now. And I don't have time to go into details  
10 of studies, but studies from the Children's Health Study  
11 group in Los Angeles, USC, and at Columbia, New York City  
12 have shown associations with traffic-related air pollution  
13 and overweight in children.

14 --o0o--

15 DR. BALMES: There's also a linkage of diabetes  
16 and obesity, type 2 diabetes a disorder of glucose  
17 metabolism I think as everybody knows. Basically, the  
18 body cells fail to take up glucose from the blood due to  
19 insulin resistance. This cartoon shows a normal cell with  
20 glucose being brought into a cell because the insulin  
21 receptor is functional. With an insulin-resistant cell,  
22 glucose can't get into the cell and stays in the  
23 peripheral circulation.

24 Eighty percent of those who develop type 2  
25 diabetes are obese. We used to say that was only a

1 condition of adults. But increasingly type 2 diabetes is  
2 being identified in obese children. And it's associated  
3 with insulin resistance and beta cell, the cells that  
4 produce insulin in the pancreas not functioning properly,  
5 because they get overused, because of the insulin  
6 resistance.

7 And then both diabetes and obesity are associated  
8 with increased systemic inflammation. And that's one  
9 unifying factor with regard to risk in terms of obesity  
10 and diabetes that may be related to air pollution.

11 And here is a cartoon showing that adipose  
12 tissue, fat tissue, is not just storage tissue. It  
13 actually gets actively involved with body metabolism and  
14 can actually generate inflammation. And that's -- this  
15 access of inflammation related to the adipose tissue is  
16 increasingly being investigated and may play a role in  
17 conditions such as diabetes, obesity, cardiovascular  
18 disease, et cetera.

19 --o0o--

20 DR. BALMES: So we know a little bit about air  
21 pollution and diabetes in children. Several studies have  
22 shown associations between diabetes in adults and exposure  
23 to traffic-related air pollution, and a smaller number of  
24 studies, again the best one is from USC, showing that  
25 traffic-related air pollution exposure in children of

1 color was associated with higher fasting glucose and  
2 insulin resistance. They were really quite elegant  
3 studies.

4 --o0o--

5 DR. BALMES: So what's the potential mechanism of  
6 air pollution affecting both obesity and diabetes?

7 Well, oxidative stress, which is one of the areas  
8 that the proposed AB 617 study that Susan was talking  
9 about will be looking at. And oxidative stress can, in  
10 the lungs, from inhalation of air pollution, can spill  
11 over into the systemic circulation and lead to  
12 inflammation. And then local inflammation in the lungs  
13 from air pollution exposure can also spill over into the  
14 systemic circulation, and potentially reach fat tissue and  
15 contribute to fat tissue inflammation and insulin  
16 resistance.

17 And there's mouse models that have diet-induced  
18 obesity that show that co-exposure of PM2.5 with the --  
19 with a high fat diet can lead to really fat mice. This  
20 actually is a photo from mice from this study. And based  
21 on what I've covered, our hypothesis, and a hypothesis  
22 shared by others, is exposure to air pollution in utero  
23 and early childhood increases risk of abnormal glucose  
24 metabolism and obesity in later childhood.

25 --o0o--

1 DR. BALMES: So Fresno where I've been working  
2 with colleagues for over 20 years. Why Fresno? Here is a  
3 picture of Fresno on a particularly polluted day. I don't  
4 think this was a wildfire exposure day either. And Fresno  
5 ranks in the top three to five cities in the country with  
6 regard to both PM -- well, PM2.5. I'll leave it at that.

7 --o0o--

8 DR. BALMES: So our specific study that I'll be  
9 talking about today is a component study of the Children's  
10 Health and Air Pollution Study Center that was a joint UC  
11 Berkeley, UC -- Stanford project until a couple years ago.  
12 Our current funding is just through UC Berkeley, but this  
13 work was collaborative with Stanford.

14 --o0o--

15 DR. BALMES: And, you know, polycyclic aromatic  
16 hydrocarbons have already been mentioned. We -- that's  
17 part of our special sauce. Kathie Hammond and Betsey  
18 Noth, my colleagues at Environmental Sciences at UC  
19 Berkeley School of Public Health have been studying  
20 ambient PAHs in Fresno for a long time. You know, there  
21 are other sources of PAHs that have already been brought  
22 up today, but we're -- we're interested in ambient PAH.

23 --o0o--

24 DR. BALMES: And this is a map that Betsey made  
25 of PAH cumulative exposure in Fresno with the circles

1 showing -- the larger the circle, the greater the  
2 exposure. And you can see that ambient PAHs somewhat tend  
3 to follow the roadways in Fresno. Wildfires, ag burning,  
4 and then burning of solid fuel in homes also contribute to  
5 ambient PAH in Fresno. But over the course of most of the  
6 year, it's traffic that's the biggest component.

7 --o0o--

8 DR. BALMES: So our research question was are  
9 exposures ambient air pollutants, especially PAHs,  
10 associated with increased body mass index, biomarkers of  
11 oxidative stress, systemic inflammation, abnormal fat and  
12 glucose metabolism? We -- well, I'll just -- I'll go into  
13 systemic inflammation later. Increased blood pressure.

14 --o0o--

15 DR. BALMES: And our study design involved a  
16 birth cohort, a child cohort. I'm going to report data  
17 from our child cohort from enrollment ages seven to eight  
18 today. We're continuing to follow this cohort, or I  
19 should say, we're funded to continue to follow both of  
20 these cohorts, but we have been limited by the pandemic --  
21 actually, inhibited by the pandemic from doing more recent  
22 follow-up, but we're hoping to start soon.

23 So for all participants, we do anthropom --  
24 anthropometry and biomarker measurements. And we have  
25 estimated air pollution exposure to elemental carbon. I

1 think the slides are going to call it black carbon.  
2 Betsey and I argue about whether -- what we should call  
3 it. Nitrogen dioxide, which is a good marker of traffic  
4 exposure, nitrogen oxides in general, not just NO2. And  
5 then we have this special PAH456, so this -- these are  
6 polycyclic aromatic hydrocarbons with four, five, or six  
7 rings, and then fine particulate matter and carbon  
8 monoxide.

9 --o0o--

10 DR. BALMES: Here's the description of our child  
11 cohort. Recruited at ages seven to eight. You see the  
12 mean in months is closer to eight. You can see the  
13 weight. We'll be talking about BMI later. Pretty equally  
14 split between boys and girls. And what's remarkable  
15 for -- we recruited through the Fresno public schools, and  
16 we had 80 percent Latinx, 11 percent Black. So, of color,  
17 we had, you know, 91 percent of our child participants.

18 And also striking is the annual household income.  
19 So 28 percent of our families had income less than 15,000.  
20 So this is a very poor group. And you can see that  
21 there's also a fairly high percentage of obesity and  
22 overweight.

23 --o0o--

24 DR. BALMES: So I'm going to start showing data  
25 now. Hopefully, these slides aren't too confusing. These

1 are slides -- or graphs from our published paper in  
2 Environmental Research that came out earlier this year.  
3 And we have four pollutants below, black carbon, NO2,  
4 PAH456, and PM2.5. And there's various exposure windows.  
5 These are three months, six months, one year average  
6 exposures. And then the outcome here is estimated percent  
7 change in BMI using a CDC recommended approach.

8 And there was only one statistically  
9 significant -- borderline statistically significant  
10 exposure BMI percentile association, six-month NO2, but  
11 I would like to suggest that most of the point estimates  
12 show that there is a potential trend towards an increase.

13 --o0o--

14 DR. BALMES: Now, I have hemoglobin A1c percent  
15 glycosylated hemoglobin, which is a good marker of glucose  
16 regulation. And again, same black carbon, NO2, PAH456,  
17 PM2.5. And here we have some statistically significant  
18 associations with six-month black carbon, three-month NO2,  
19 and borderline for six-month. And then with PAH456,  
20 three- and six-month, and PM2.5 three- and six-month  
21 average exposures.

22 --o0o--

23 DR. BALMES: Systolic blood pressure, we have --  
24 because systolic blood pressure has a shorter exposure  
25 response time, we're looking at one day, and one week, and



1 one month average exposures, as well as the three, six  
2 and -- three- and six-month and one-year exposure averages  
3 that I showed in a previous slide. And here again, most  
4 of the point estimates are above the line, but we have  
5 statistically significant associations for three- and  
6 six-month, and one-year exposures for NO2. Again, a very  
7 good marker of traffic exposure.

8 --o0o--

9 DR. BALMES: Diastolic blood pressure, a little  
10 less dramatic. I think there is only one statistically  
11 significant association with one-month black carbon. But  
12 you can see that again most of the point estimates are  
13 above the line, showing that trend towards an effect.

14 --o0o--

15 DR. BALMES: Urinary 8-isoprostane, which is  
16 going to be one of the biomarkers that the proposal --  
17 proposed study in Stockton will use. Again, it has a  
18 short time exposure response and basically all of the  
19 pollutants at shorter time averages especially are  
20 associated with increases in urinary 8-isoprostane. So  
21 that's a marker of lipid peroxidation. It's actually  
22 quite a good marker of systemic oxidative stress.

23 --o0o--

24 DR. BALMES: Now, the data I showed you so far  
25 have been from our child cohort ages seven to eight, but

1 we did a follow-up at ages nine to 10. And I have some  
2 unpublished data that I'm showing here for 182 of our  
3 child participants, so a subcohort. We have high-density  
4 lipoprotein, which is the good lipoprotein in terms of  
5 cardiovascular risk. So a decrease in HDL is not good,  
6 and -- so you can see that with NO2 and NOx, we have some  
7 statistically significant decreases of the good  
8 lipoprotein here and not much for the other pollutants.

9 --o0o--

10 DR. BALMES: And then because you're also  
11 going -- well, the AB 617 Stockton study is considering  
12 urinary club cell protein-16. We have, I think, no  
13 statistically significant decreases, but again, a trend  
14 towards decreases and club cell protein-16 with most of  
15 the pollutants. Now, just a little comment in terms of  
16 the use of this biomarker, it's not really a marker of  
17 systemic inflammation. It's a marker that Nina and I have  
18 used in multiple studies - Nina Holland - who's going to  
19 be measuring it for the AB 617 study team. It's a marker  
20 of airway injury. Very sensitive to pollutant airway  
21 injury that initially goes up with exposure to air -- an  
22 airway toxicant and then goes down over time. And the  
23 lower -- a lower level of CC16 is actually associated with  
24 increased risk for chronic respiratory outcomes, such as  
25 chronic obstructive pulmonary disease.

1           So you have to be careful in the interpretation  
2 of CC16. It's really not a marker of systemic  
3 inflammation. The leukotriene 4 that Nina will be  
4 obtaining is a marker of inflammation, but CC16 is --  
5 inflammation is involved in the pathway by which CC16 is  
6 released from club cells and the airway epithelium, but I  
7 wouldn't call it a marker of systemic inflammation.

8                       --o0o--

9           DR. BALMES: So in summary, the prevalence of  
10 both obesity and pre-diabetes -- you know, we didn't  
11 diagnose diabetes in any of these kids. The increase in  
12 hemoglobin A1c is just a marker of glucose dis-regulation.  
13 Anyway, both obesity and pre-diabetes are high in Latinx  
14 youth in the San Joaquin Valley. Air pollution may  
15 increase the risk of both conditions by inducing oxidative  
16 stress airway inflammation and possibly systemic  
17 inflammation, which we didn't actually measure.

18           Childhood exposure to traffic-related air  
19 pollution is associated with outcomes consistent with  
20 increased risk of metabolic syndrome. You can't properly  
21 diagnose metabolic syndrome in children, but the trend  
22 towards increased BMI, the increased hemoglobin A1c, the  
23 decreased HDL and the increased blood pressure all are  
24 consistent with signs of metabolic syndrome. So we're  
25 worried about these kids developing metabolic syndrome as

1 they get older and we're hoping to continue to be able to  
2 follow them over time. And we do have a -- we will be  
3 able to follow them over the next few years thanks to  
4 increased funding from the NIHS.

5 And I can't go through the participation of every  
6 member of our study group. I've already mentioned Betsey  
7 Noth and Kathie Hammond, but I particularly want to make a  
8 shout -- give a shout-out to Jennifer Mann, who should be  
9 giving this talk, but because she retired, as was  
10 mentioned earlier, she stuck me with the job, because  
11 Jennifer was really the lead investigator for this project  
12 over multiple years.

13 --o0o--

14 DR. BALMES: And then I want to end with  
15 acknowledging both our collaborators at Sonoma Technology,  
16 who helped us with the air pollution exposure assessment,  
17 as did colleagues at Cal State Fresno. We did the visits  
18 for our child participants at UC -- UCSF Fresno, and then  
19 our funding for this project was from the U.S. EPA and the  
20 NIH.

21 So with that, I think I'm on time.

22 CHAIRPERSON SCHWARZMAN: You are perfectly on  
23 time, John. Thank you so much for the presentation.

24 We have 15 minutes now before we break for lunch  
25 that is devoted to questions and discussion from both the

1 panelists and any audience members. So I just want to  
2 particularly flag in terms of public comment or audience  
3 questions, earlier in the day, we -- these were all broken  
4 out. And now it's sort of combined. So if you want to  
5 submit a question or a comment, please do that as we  
6 proceed with the discussion.

7 And I also just want to flag that while John has  
8 been generous to join us, today he can't stay through to  
9 the afternoon discussion. So any questions about  
10 indicators of systemic inflammation as we'll be discussing  
11 later in the afternoon relevant to the AB 617 study, if  
12 you have any questions about that to John, now is the time  
13 to do that.

14 Yes, Jenny.

15 PANEL MEMBER QUINTANA: Hi. Thank you for that  
16 fascinating presentation and really impressive cohort. I  
17 just wanted to know, if you wouldn't mind expanding a  
18 little bit more about some of the biomarkers like  
19 8-isoprostane in terms of -- is there a circadian rhythm  
20 to these biomarkers, because I guess that might come up  
21 later with timing of collections within a day?

22 Thank you.

23 DR. BALMES: Well, that's a good question, Jenny.  
24 I actually don't know about 8-isoprostane and circadian  
25 rhythm. I suspect that there probably is. And I can

1 certainly look that up for you and get back to you.

2 And Nina Holland who I think Susan mentioned is  
3 going to be doing the 8-isoprostane, she has measured  
4 urinary 8-isoprostane in multiple studies that I've been  
5 involved with and maybe other ones as well, so she may  
6 have the answer to your question about circadian rhythm.

7 I do think it's a good marker of oxidative  
8 stress. And I'm glad that she's now also willing to do  
9 8-hydroxy de -- I'm going to murder it -- 8-OHdG, because  
10 I would have been trying to get her to do that for years.  
11 And I think in part because the AB 617 study team reached  
12 out to her, she's willing to do it for me in our Fresno  
13 work now too, because for years she wouldn't, because she  
14 didn't think it was a particularly good marker. But it  
15 particularly, as you probably know, is a marker of DNA  
16 oxidative damage, whereas the 8-isoprostane is a lipid  
17 peroxidation. So having both of those markers I think is  
18 a good way to assess oxidative stress.

19 PANEL MEMBER QUINTANA: Now, maybe taking a step  
20 back, I forgot to ask you to comment also on the half-life  
21 what's known in children in urinary half-life and --

22 DR. BALMES: Yeah, the half-life, I actually had  
23 to look that up for that paper that we're -- is in review  
24 with the Journal of Exposure Science and Environmental  
25 Epidemiology with our nine year old data. And now I can't

1 remember exactly, because one of the reviewers asked about  
2 the half-life. But it's definitely -- it sticks around  
3 for long enough to be useful.

4 PANEL MEMBER QUINTANA: Thank you so much.

5 DR. BALMES: It's a matter of -- it's a good part  
6 of the day the half-life.

7 CHAIRPERSON SCHWARZMAN: Thanks for that.

8 Other questions?

9 Ulrike.

10 PANEL MEMBER LUDERER: Thank you. That was a  
11 really interesting talk, John. I really appreciate your  
12 presenting that -- those data. I had a question just to  
13 make sure that I understood the graphs. So is it the  
14 estimated change from the individual's baseline or is it  
15 relative to a normal value.

16 DR. BALMES: It's to the individual's baseline.

17 PANEL MEMBER LUDERER: Baseline. Okay. So then  
18 one day would be one day into -- basically --

19 DR. BALMES: Yes.

20 PANEL MEMBER LUDERER: -- One day from when the  
21 urinary isoprostane was measured. Okay. Great. Thank  
22 you.

23 CHAIRPERSON SCHWARZMAN: And just to finish that.  
24 That's one day into high smoke -- or a high pollution  
25 exposure event?

1 DR. BALMES: No. It's just that one day average  
2 exposure. I mean, one day -- one day prior to when their  
3 testing was done versus -- and then there was one week,  
4 one month, three months, six months, one year average  
5 exposure prior to the date of the test.

6 CHAIRPERSON SCHWARZMAN: So you're essentially  
7 looking at cumulative exposure based on the age?

8 DR. BALMES: Well, it's cumulative exposure for  
9 the longer averages, but, you know, one day, one week, not  
10 that cumulative. And we only -- we did the one day and  
11 one week for the like blood pressure and urinary  
12 8-isoprostane that do respond to acute air pollution  
13 events. But hemoglobin A1c, you know, has a half-life of  
14 several months, so that's why we didn't look at one day  
15 exposures for hemoglobin A1c.

16 I think Carl had his hand up. Maybe he can  
17 actually be heard.

18 PANEL MEMBER CRANOR: Yes.

19 DR. BALMES: Hey.

20 PANEL MEMBER CRANOR: Let's try. Did it work?

21 CHAIRPERSON SCHWARZMAN: Yes.

22 DR. BALMES: Yes.

23 PANEL MEMBER CRANOR: Okay. Can you say a little  
24 bit more about the air pollution being in the lungs  
25 causing the inflammation in the airways and then how the



1 pathway from air pollution in the lungs to systemic  
2 inflammation. It might be very -- I don't know the field.  
3 I might be very interested in that.

4 DR. BALMES: Well, thank you, Carl. I'm happy to  
5 do that, because I kind of whizzed through that. So the  
6 air pollutants that we studied, NO2 and other nitric ox --  
7 nitrogen oxides, ambient PAHs, and then both black carbon  
8 and PM2.5 all can cause airway inflammation. So when  
9 they're breathed in at high enough concentration, they  
10 will damage airway cells -- the cells lining the airway,  
11 and then those cells will release signals that cause an  
12 inflammatory response. And by inflammatory response, I  
13 mean immune cells, both resident in the airway, like  
14 alveolar macrophages and then potentially cells recruited  
15 from the systemic circulation in the bone marrow. This  
16 has all been shown actually with PM2.5 in particular.

17 So you get a local airway inflammatory response  
18 to the oxidative stress. I left that out. The oxidative  
19 stress that the pollutants cause is what leads to the  
20 airway injury. And then there's an inflammatory response  
21 to the airway injury. That can just be local in the  
22 airways. But if it's severe enough or chronic enough, I  
23 think either way, you can have spillover into the systemic  
24 inflammation -- the systemic circulation, which can  
25 actually lead to extra pulmonary effects.

1           This has been shown with regard to blood vessel  
2 response. Endothelial function is inhibited by exposure  
3 to air pollution. And at least in animal models,  
4 inflammation of adipose tissue has been shown to occur  
5 with exposure to PM2.5, for example. So -- and actually  
6 ultrafine particles have been shown to be deposited in the  
7 brain of animals exposed to traffic-related air pollution.

8           So there definitely are systemic ramifications to  
9 the airway injury from oxidative stress from air  
10 pollutants and then the subsequent inflammatory response.  
11 I hope that was somewhat clear, Carl.

12           PANEL MEMBER CRANOR: Yes. Thank you. It just  
13 adds to the picture that air pollution is really nasty.  
14 It does other things -- it does things to the brain. It  
15 does things to the coronary artery system. And now you've  
16 pointed out other areas.

17           DR. BALMES: And actually that's why I moved --  
18 I'm a pulmonary physician by training and I started with  
19 respiratory health effects, moved to cardiovascular, and  
20 now I'm doing metabolic effects in kids.

21           And if I could just throw in something that Tom  
22 teed up about wildfire smoke, PM2.5. There's increasing  
23 evidence that wildfire smoke PM2.5 may be more toxic than  
24 non-wildfire PM2.5 with regard to respiratory outcomes. I  
25 wouldn't say that that's clear for the other outcomes like

1 cardiovascular outcomes or metabolic outcomes. We don't  
2 have those data. But with -- in terms of respiratory  
3 outcomes, there are data especially with kids with asthma  
4 that suggest that PM2.5 from wildfire smoke is more toxic.  
5 So I think he was kind of teeing up that comment.

6 PANEL MEMBER MCKONE: I was going to ask that  
7 question. You saved me the time or the effort.

8 DR. BALMES: Well, you hinted earlier, Tom. And  
9 Tom and I worked together for years, so he knows how I  
10 think.

11 CHAIRPERSON SCHWARZMAN: Thank you for that.  
12 I -- as I understand, we have a public commenter question.  
13 Shoba, I think there might be some connectivity issue.  
14 Are we able to do that now?

15 DR. IYER: Yeah. Let's give it a shot. LeVonne  
16 Stone, I see you have your hand raised. I'm unmuting you  
17 now. So if you unmute yourself, there should be a  
18 microphone icon you might see that's red. You can click  
19 it and unmute yourself and share your comment.

20 MS. STONE: Hello.

21 DR. IYER: Hi. We can hear you.

22 MS. STONE: Okay. I don't want to take a lot of  
23 your time. I'm the Director of the Fort Ord Environmental  
24 Justice Network, a community-based organization that has  
25 conducted a lot of research in this area, because of

1 the -- we've been subject to all these prescribed burns, a  
2 substance called alumagel, which is a derivative of  
3 napalm. And we find out that the State of California when  
4 it comes to the biomonitoring, when it comes to the map in  
5 OEHHA and the air district, they all pass us by. And we  
6 have had -- our children have been affected by all this  
7 toxic smoke along with all the other stuff in the air.  
8 And it's -- we find it very hard to bring attention to  
9 what's going on down here.

10           And I don't understand that, because -- and just  
11 like I heard that, you know, air pollution causes a lot of  
12 damage even to the eye, the retina, and all that, because  
13 it happened to me during one of the burns on Fort Ord. I  
14 just had a corneal eye implant at Stanford, and nobody in  
15 my family has any eye problems. And it happened because  
16 during a burn, one of the little cinders or something got  
17 in my eye. I thought it was just a speck of dust. And we  
18 have a big veteran community here. My husband is a  
19 veteran. And so we are being ignored by the State of  
20 California. I have traveled all over the United States  
21 and have gotten more attention from those people than I do  
22 here.

23           And it seems as though there is a contest between  
24 community organizations that do this kind of work and the  
25 agencies, because once they find out how much you know and

1 how much research you've done, because we can't even get  
2 the grant, we have to do everything ourselves. So I'm  
3 just trying to understand why it's continuing. The  
4 studies -- the studies, what are the results of the  
5 studies and how come the studies are only for some schools  
6 and not for all of the schools. And we need air monitors.  
7 I have a small tiny air monitor that was given to me by  
8 our local air district. And nobody is saying anything  
9 about how COVID gets connected to all of this, and it's  
10 not, because COVID is saying we're breathing on each other  
11 and we are making each other sick. And it's like it's  
12 been a cover-up all this whole year of all the other stuff  
13 that's been going on in our communities.

14 So I'm sorry to have to make such a long comment,  
15 but I was hoping that the participation process had  
16 changed to make it more inclusive. And it seems like to  
17 me, you haven't changed that much at all. So I'll stop  
18 right there. And I hope I can get some kind of feedback  
19 that would be helpful.

20 CHAIRPERSON SCHWARZMAN: Thank you for your  
21 comment, LeVonne. I think Program staff take note of  
22 public comment and understanding the community that you're  
23 advocating for can help them identify places that are  
24 under targeted. I don't know if staff wants to add  
25 anything to a response to that.

1 MS. STONE: I hope so.

2 CHAIRPERSON SCHWARZMAN: And, if not, Jenny has  
3 something to say.

4 PANEL MEMBER QUINTANA: I just had a question for  
5 the commenter. I just -- I missed where you were located,  
6 I'm sorry, at the very beginning.

7 MS. STONE: We're in Monterey, California --

8 PANEL MEMBER QUINTANA: Thank you.

9 MS. STONE: -- where there's a huge military base  
10 closed down and it's attached to all these communities.

11 PANEL MEMBER QUINTANA: And there's also  
12 agricultural burning you're saying?

13 MS. STONE: Oh, yes, ma'am, agriculture. You're  
14 talking about pesticide of the.... And everything else  
15 that you all have talked about, we have it, and it's been  
16 here a long time.

17 PANEL MEMBER QUINTANA: So why don't --

18 MS. HOOVER: So, Meg, I'll just chime in to say  
19 thank you to the public commenter. And we need to move on  
20 to our next item, which is lunch. So we have taken note.  
21 We will have the full transcript of the comment and we can  
22 be in touch to follow up on this comment further.

23 MS. STONE: I hope so.

24 CHAIRPERSON SCHWARZMAN: Thank you for joining  
25 the meeting and contributing.

1           So that's Sara prompting us that it's time for  
2 lunch and we need to break.

3           Excuse me.

4           We have an hour for lunch and it's requested that  
5 everybody return no later than 1:30, so that we can begin  
6 the afternoon session on time. And I will just provide  
7 the following informal Bagley-Keene reminder that to  
8 comply as usual with Bagley-Keene requirements and refrain  
9 from discussing Panel business during lunch and during the  
10 afternoon break, which comes later.

11           So I'm going to adjourn the -- not adjourning the  
12 meeting, but adjourn for lunch and we will return here at  
13 1:30. Thank you so much to everybody who has provided  
14 presentations, and comments, and additions to the meeting  
15 this morning.

16           MS. HOOVER: Hey, Meg, I just wanted to let Panel  
17 members know that through your -- your, Nerissa's, and  
18 Stephanie's efforts, we do have a set of recommendations  
19 that are going to be shown during the lunch break. So  
20 Panel members and public, feel free to take a look at  
21 these and we can circle back during the open public  
22 comment period on this -- that topic.

23           CHAIRPERSON SCHWARZMAN: Great.

24           (Off record: 12:36 p.m.)

25           (Thereupon a lunch break was taken.)

AFTERNOON SESSION

(On record: 1:35 p.m.)

CHAIRPERSON SCHWARZMAN: Okay. I want to welcome everybody back from the break and start the afternoon session of the meeting. The first thing is we're going to have a presentation on challenges and opportunities in air filtration intervention studies. And to do that, I want to introduce Ryan Allen. He's a professor in the faculty of Health Sciences at Simon Fraser University in Vancouver, Canada. His research program bridges air pollution exposure assessment and epidemiology with interests in the evaluation of interventions to reduce air pollution-related health effects and the impacts of air pollution exposure in early life on growth and development.

He'll be discussing the challenges and opportunities offered by air filtration intervention studies. Thanks, Ryan.

(Thereupon a slide presentation.)

DR. ALLEN: Great. Thanks for the introduction and for the invitation to participate in this meeting. So I was asked to talk about kind of our research group's experiences conducting air filtration intervention studies over the last 10 years or so. So this really isn't a biomonitoring talk. I'll mention biomarkers very briefly.



1 And we've used biomarkers of exposure and of effect in our  
2 studies. But this really isn't a biomonitoring talk.  
3 It's really just a kind of a show-and-tell of our  
4 experiences, including some things that worked and some  
5 things that didn't.

6 And I want to make clear that this is not -- I  
7 don't claim that we're the experts on doing these studies  
8 or that we've, you know, figured it all out. The idea  
9 here is just to not so much tell research -- researchers  
10 what they should do, but just give researchers some  
11 thoughts on things maybe to consider, if you were going to  
12 do one of these studies. Certainly things I would  
13 consider if I were to do another one of these studies.

14 --o0o--

15 DR. ALLEN: So to start, I'll just disclose that  
16 I -- for the most recent study, which I'll tell you about,  
17 we received some in-kind support in the form of discounted  
18 air purifiers from Coway who is a Korean manufacturer.  
19 But they had no role in any of the research that we've  
20 conducted. And I'll also just make clear that this  
21 presentation is not meant to be an endorsement of any air  
22 cleaner manufacturer or model. So I'm not trying to sell  
23 you air cleaners.

24 --o0o--

25 DR. ALLEN: So the three studies that I'm going

1 to draw from in describing our experiences all used HEPA  
2 filter -- portable HEPA filter air cleaners to try to  
3 understand relationships between air pollution and health.  
4 The first study was conducted in a small town in western  
5 Canada in British Columbia. And that was focused on wood  
6 smoke and cardiovascular outcomes. The second study was  
7 conducted -- it was a very similar study in many ways, was  
8 conducted in Vancouver. And the third study, which is  
9 actually still ongoing, is a longer term study, actually  
10 in Ulaanbaatar the Capital City of Mongolia, focused on --  
11 that's a city that's impacted heavily by coal smoke. And  
12 the goals of that study were to look at fetal growth and  
13 early childhood development as health outcomes.

14 So I've structured this talk as kind of a list of  
15 six considerations or groups of considerations, as I said,  
16 that I would -- that I would kind of recommend thinking  
17 about if you're going to design and conduct one of these  
18 studies. And this is not kind of a typical research talk.  
19 I'm really focusing on the methods and our experiences.  
20 And I won't say a whole lot about results, but I'll  
21 mention results in a few cases, when they're relevant to  
22 one of the considerations that I'm describing.

23 --o0o--

24 DR. ALLEN: So the first study that we conducted  
25 used a randomized cross-over design. So each participant

1 underwent two weeks of -- or two seven-day periods of air  
2 pollution monitoring. And at the end of each seven-day  
3 period, we made measures of markers of health, sort of  
4 cardiovascular-related health outcomes including some  
5 measures of oxidative stress, inflammation, and  
6 endothelial function, things we've already heard quite a  
7 lot about today.

8 And during one of the sessions, the HEPA filter  
9 was operating normally. During the other session, the  
10 HEPA filter was operating, but the filter was actually  
11 removed, so it was sort of, what we call, placebo or sham  
12 filtration. And importantly, the order of filtration and  
13 sham filtration was randomly assigned. And this was a  
14 group of relatively healthy kind of middle-aged adults.  
15 And we measured exposures including PM2.5 and  
16 levoglucosan, which is a marker of wood smoke, both inside  
17 and outside of homes.

18 --o0o--

19 DR. ALLEN: The second study was very similar to  
20 the first. This one was conducted in Vancouver. Same  
21 study design. Many of the same outcomes. Many of the  
22 same exposure measures. The key difference here was that  
23 we used some modeling work that had previously be done --  
24 been done in greater Vancouver to identify neighborhoods  
25 and areas of the city that were impacted by one but not

1 both of the pollution sources of interest. And those were  
2 traffic-related air pollution, TRAP, and wood smoke.

3 And so you can see in the map the areas in red  
4 are postal codes that are -- have relatively high  
5 traffic-related air pollution concentrations and  
6 relatively low wood smoke. And then the areas in green  
7 are the reverse of that.

8 --o0o--

9 DR. ALLEN: And then the third study that I'm  
10 going to draw from is the one that we're actually still  
11 working on and this was a -- this was a very different  
12 study in many ways. Rather than using that randomized  
13 cross-over design, this was a parallel group randomized  
14 control trial, like -- very much like a drug trial or a  
15 vaccine trial.

16 We enrolled a group of non-smoking pregnant women  
17 living in the capital city of Mongolia, and we randomly  
18 allocated them into either an intervention or a control  
19 group, where the intervention group received the air  
20 cleaners, the control group did not. They used them from  
21 enrollment in the study until the end of their pregnancy.

22 The study was initially designed to look at birth  
23 weight as a measure of fetal growth. And then we  
24 subsequently got funding to continue to follow these kids  
25 and look at indicators of early childhood development,

1 things like cognitive performance, behavior, measures of  
2 obesity, measures of respiratory symptoms, those kinds of  
3 things.

4 And like John said in his work in Fresno, we  
5 actually have money to continue to follow this cohort, but  
6 COVID has obviously made things a little more challenging.

7 --o0o--

8 DR. ALLEN: So I guess the first consideration  
9 when you're thinking about one of these studies is how  
10 do -- how do your plans fit in with what's already been  
11 done and what we already know? And I would say that this  
12 kind of landscape has changed a lot in the -- over the ten  
13 years since we started doing these studies.

14 That first study was published in 2011. And at  
15 that time, there was -- there was some evidence that air  
16 cleaners -- portable air cleaners improved -- or reduced  
17 particulate matter concentrations particularly in  
18 residences. But over the last 10 years, there's been  
19 quite a lot of research in this area to the point that  
20 we're now getting some review papers. And I've included  
21 some screenshots here of different review papers try --  
22 kind of summarizing this literature.

23 I would say now there's pretty strong evidence  
24 that these devices reduced PM concentrations in  
25 residences, as well as some evidence that these devices or

1 enhanced filtration in HVAC systems can reduce  
2 concentrations in public buildings like schools. These  
3 are mostly short-term studies, not entirely, but most of  
4 them are short-term studies looking at kind of days or  
5 weeks. And there is now some evidence of health benefits  
6 from filtration, but there's less health evidence than  
7 evidence of exposure benefits.

8 --o0o--

9 DR. ALLEN: And then sort of once you've situated  
10 the proposed study in the -- in kind of what we know and  
11 what we don't know, I guess the next sort of consideration  
12 is what is the goal?

13 And what I mean by that is, is the goal to  
14 actually evaluate the intervention because you're  
15 interested in the intervention or is the intervention  
16 simply being used as a research tool to reduce exposure  
17 and introduce an exposure gradient.

18 So since we've started doing this work in  
19 Mongolia, and I've given talks about it, and I've had  
20 people sort of ask, you know, do you think air cleaners  
21 are the solution? And my answer is always well no air  
22 cleaners aren't the solution to air pollution. The  
23 solution to air pollution is to produce less air pollution  
24 in the first place.

25 So these air cleaners might be useful in

1 particular settings for particular populations. But  
2 really my interest in these studies is -- with these air  
3 cleaners is that they allow us to ask the question what  
4 happens to health when air -- when air pollution goes  
5 down, when air quality improves?

6 And so I think it's worth -- as you're thinking  
7 about these studies, it's worth thinking about whether  
8 you're interested in the intervention per se or whether  
9 you're just simply interested in exposure reductions and  
10 air cleaners are one way to kind of manufacture an  
11 exposure reduction in your study.

12 There are a lot of advantages to these kinds of  
13 studies, as most of you probably know. Certainly, by  
14 randomizing exposure in some way, we reduce the potential  
15 for confounding bias, which is always a challenge in  
16 this -- in these kind of studies. We can -- we can  
17 enhance or increase that exposure gradient. And that's  
18 where a lot of the statistical power in these studies  
19 comes from. The more kind of -- the larger the difference  
20 in exposure within your study population, the more likely  
21 you are to see associations with health.

22 And one of the things I really like about these  
23 studies is that they're fairly intuitive. You know, so to  
24 try to control -- to try to describe a case control study  
25 to someone who doesn't -- who isn't trained in this area

1 can be challenging, but there's sort of an intuitive  
2 element to the idea that you have, you know, health  
3 measures when air filters are used and health measures  
4 when air filters aren't used and you're comparing those.  
5 So that can be useful for trying to kind of communicate  
6 and disseminate your results.

7           Of course, disadvantages, these are difficult  
8 studies to do. They take a lot of effort. And as a  
9 result, we typically have relatively small study  
10 populations. There are concerns about external validity.  
11 That is people who participate in these studies may differ  
12 in important ways from people who don't participate in  
13 these studies.

14                           --o0o--

15           DR. ALLEN: Another sort of exposure-related  
16 challenge with these studies is one that I'll describe  
17 next, and that is this idea that in these studies when you  
18 evaluate the health benefits of the intervention, you're  
19 effectively using intervention status, that is  
20 intervention versus control, as a surrogate for exposure.  
21 You're kind of using a binary surrogate in place of a  
22 continuous exposure.

23           And I'll use some results from our studies to try  
24 to illustrate this point. So in the Mongolia work, we  
25 measured PM2.5 inside residences at two points in -- two



1 points in each woman's pregnancy, right after enrollment  
2 and then a few months later in pregnancy.

3 And so we had these kind of two discrete  
4 measurements of pollution concentration and we wanted to  
5 try to model what was happening in all the other weeks of  
6 pregnancy. And so we looked at predictors like outdoor  
7 pollution concentrations, and whether there was smoking in  
8 the home, and window opening, and season and various  
9 things. And we were able to develop a pretty good model  
10 for explaining -- or for predicting pollution  
11 concentrations. The model explained about 80 percent of  
12 the variability.

13 But intervention status alone only explained  
14 about six percent of the variation in pollution  
15 concentration. So the situation in these intervention  
16 studies, even though these interventions are effective,  
17 these air filters are effective, the exposure  
18 distributions of your groups don't really look like this  
19 what I'm showing here. They look more like this figure on  
20 the right, where you have these exposure distributions and  
21 the intervention is shifting the distribution down,  
22 because the inter -- you know, the air cleaners do work.  
23 They do reduce concentrations, but there are a lot of  
24 sources of variability in your population that will have  
25 nothing to do with the air cleaner.

1           And so -- and so you're essentially using a  
2 fairly crude indicator of exposure when your analysis  
3 focuses on intervention versus control.

4           And as -- and as -- the reason I'm kind of going  
5 on and on about this is that we've seen what we think are  
6 the effects of this. So this figure shows results from  
7 our Vancouver study, where we're looking at associations  
8 between various measures of exposure and C-reactive  
9 protein as an indicator of systemic inflammation. And you  
10 can see that for HEPA filter status, or intervention  
11 status, intervention versus control, we really saw no  
12 evidence of associations. Whereas, for PM2.5, we saw some  
13 evidence that when PM2.5 went up C-reactive protein went  
14 up. And one explanation for this is this idea that air  
15 cleaner status intervention control is really introducing  
16 a lot of exposure misclassification.

17           And so one approach might be when you're doing  
18 these studies is to think about analyzing exposure both  
19 ways. You can look at whether the intervention is  
20 beneficial using kind of a binary approach or you can  
21 actually look at measures of exposure, which may give you  
22 a more refined exposure estimate.

23                               --o0o--

24           DR. ALLEN: Excuse me. Another consideration  
25 here, and this actually came up a little bit in the

1 discussion earlier, is the idea that these air cleaners  
2 are only doing any good in terms of exposure when the  
3 participants are in the location where the air is being  
4 filtered. And we didn't measure personal exposure in our  
5 studies, but other studies have demonstrated this very  
6 clearly.

7 For example, there was a study in Beijing that  
8 found that HEPA filtration reduced concentrations in homes  
9 by 82 percent, but personal exposures actually -- were  
10 actually a bit higher when the filters were on. The  
11 filters did essentially no good for personal exposure.  
12 And the authors attributed this to time spent in other  
13 settings.

14 Similar results from a study in Shanghai where  
15 the reduction in concentration was about 68 percent, but  
16 the reduction in personal exposure was only about 27  
17 percent. And obviously, this will depend on how much time  
18 people are spending away from home. But for age groups  
19 and populations that do spend a significant amount of time  
20 away from the environment that is being filtered, this can  
21 be an important consideration.

22 --o0o--

23 DR. ALLEN: And a third exposure related  
24 consideration that I would -- that I would highlight is  
25 the importance of the baseline concentrations. So the

1 exposure gradient that you get in your study, which really  
2 drives a lot of your statistical power comes really from  
3 two things. It comes from how effective the air cleaners  
4 are, but it also comes from what the baseline  
5 concentration is. This is probably obvious to most of  
6 you, but I just wanted to emphasize it.

7           So in our study, number one, we saw about a 60  
8 percent reduction in mean PM2.5 concentrations when the  
9 air filters were on. And that corresponded to about a six  
10 and a half microgram per cubic meter contrast in PM2.5.

11           Study 2, the air cleaners were less effective and  
12 the baseline levels were lower, so there was a much  
13 smaller exposure gradient.

14           And then in study 3, we saw about a 30 percent  
15 reduction, which corresponded to about a seven microgram  
16 per cubic meter contrast between the intervention and the  
17 control group. And so study 3 is a useful example. The  
18 air cleaners for various reasons weren't as effective, but  
19 because we conducted that study in a place with high  
20 baseline concentrations, that 29 percent reduction still  
21 corresponded to a relatively large contrast in exposure.  
22 And this again has implications for, you know, how much  
23 power you have to detect associations with health.

24                           --o0o--

25           DR. ALLEN: Study design is obviously an

1 important consideration. As I said, we've relied largely  
2 on this randomized cross-over design, which is a very  
3 useful design, because effectively participants serve as  
4 their own controls. You're basically comparing each  
5 individual to him or herself. And by randomizing the  
6 treatment order with some people getting the real  
7 filtration first and others getting the placebo filtration  
8 first, you reduce the potential for confounding by things  
9 that are varying in time.

10 One of the things we have had to sort of puzzle  
11 with when we do these studies is whether or not to include  
12 a washout period. So often in these studies, there will  
13 be a gap between session one and session two that is meant  
14 to prevent any effects from session one from bleeding into  
15 or sort of carrying over and contaminating session two, so  
16 to speak.

17 And there was a review paper published just a few  
18 weeks ago that looked at these studies and they really  
19 highlighted the lack of these washout periods as an  
20 important limitation, including in some of our studies.  
21 We have not used washout periods in our studies and I  
22 would argue that that criticism is maybe a little bit  
23 overblown. And the reason we've not used washout periods  
24 in our studies is that we thought that the exposure  
25 response relationship for the outcomes we were looking at

1 was relatively short compared to the duration of the  
2 monitoring sessions. So for example, we thought that it  
3 was probably only about the 48 hours or so of exposure  
4 prior to the health measurements that was really driving  
5 those measurements.

6 As a result, with seven-day monitoring sessions,  
7 we thought that the first sort of half of the monitoring  
8 session was effectively acting like a washout period. So  
9 I would argue that the need for a washout period probably  
10 depends on the time scale of that exposure response  
11 relationship relative to the duration of the monitoring  
12 sessions or the duration of the intervention.

13 --o0o--

14 DR. ALLEN: I mentioned, you know, that we'd  
15 focused on healthy populations in our studies. And, you  
16 know, I'm sort of using -- I'm kind of oversimplifying  
17 here talking about healthy people versus susceptible  
18 people. When I say susceptible individuals, I mean, for  
19 example, maybe people with asthma or some other morbidity  
20 that may make them more susceptible to the health effects  
21 of air pollution.

22 And there may be valid reasons for focusing on  
23 one or the other. For example, susceptible individuals  
24 may be more responsive to air pollution. You may be more  
25 likely to see a response in that group. Whereas healthy

1 individuals may allow for a simpler analysis. So, for  
2 example, they may be on fewer medications that may mask  
3 the effects of air pollution.

4 But these studies tend to be pretty small and  
5 often you're not able to look at sort of a bunch of  
6 subgroups. You kind of end up analyzing the cohort as a  
7 whole. And so the approach that we've taken is that  
8 because of the way our studies were conducted and the  
9 places our studies were conducted, we thought it was going  
10 to be difficult to recruit a sufficient number of  
11 susceptible individuals to make for a meaningful analysis.

12 And so we were worried that having just a few  
13 susceptible individuals would make the analysis more  
14 complicated and, you know, more challenging. And so we  
15 sort of took an all-or-nothing approach, the idea being if  
16 you can't get enough susceptible individuals into your  
17 study population to do a meaningful analysis on that  
18 group, it's best to try to -- to try to actually not  
19 enroll those people into your study. And so that's why we  
20 ended up with these cohorts where we intentionally tried  
21 to recruit healthy individuals.

22 And that's not to suggest that's the only  
23 approach, but -- or -- and it won't be appropriate or  
24 feasible in every situation, but it seemed to be the right  
25 approach for to us.

1                   --o0o--

2           DR. ALLEN:  As far as the air cleaners go, you  
3 know, the first decision is obviously -- or maybe not  
4 obviously, but one of the first decisions is whether  
5 you're going to do filtration in the HVAC system, or use  
6 portable units, or both, as is the case in the proposed  
7 schools study.

8           There is this concern that I think was mentioned  
9 earlier about the use of really high efficiency filters in  
10 older HVAC systems where the system may not be able to  
11 handle that high level of filtration.  And I'm not an  
12 expert on HVAC systems, but you hear this kind of  
13 anecdotally sometimes.

14           In our studies, as I said, we used -- we used  
15 portable air cleaners.  We used HEPA filter air cleaners,  
16 but there are other technologies available, for example,  
17 electrostatic precipitators.  A really important  
18 consideration, of course, is the amount of filtration that  
19 you're achieving relative to the volume of air that needs  
20 to be filtered to the -- to the size of the room or the  
21 building where you're conducting your study.  And that's a  
22 function of having either right -- either the right size  
23 air cleaners or the right number of air cleaners operating  
24 them on a high enough fan setting to do the job.  But all  
25 of those things have implications for noise.



1           And then you can think about compliance  
2 monitoring, trying to determine how much your participants  
3 are actually using these devices. That could be done via  
4 self-report using some built-in timer or using some  
5 external measure to -- of electricity, for example -- or  
6 sorry, external measure of compliance, like measuring how  
7 much electricity the unit is using and then converting  
8 that into a measure of air cleaner use and intensity.

9                               --o0o--

10           DR. ALLEN: I'm going to -- I'm going to skip  
11 over some of the more nitty-gritty details of what we've  
12 done with the air cleaners in our studies. I'm happy to  
13 tell folks about that, if there's interest.

14                               --o0o--

15           DR. ALLEN: But I mentioned noise, I just want to  
16 highlight this as an important issue. So these are  
17 results from our Mongolia study showing concentrations in  
18 intervention and control groups after the air cleaners  
19 were first deployed and then after about five months of  
20 use. And you can see when the air cleaners were first  
21 deployed, they were pretty effective. They reduced PM2.5  
22 concentrations by about 40 percent.

23           After five months of use, the effectiveness had  
24 dropped to about 15 percent. And there are a few reasons  
25 that we think that happened, but one of them -- again,

1 this is sort of anecdotal, but one of them is that we  
2 heard from a number of participants that they were  
3 concerned about the noise, particularly in the bedroom  
4 units and so they would just turn the unit off.

5 And that sort of level of annoyance with the  
6 noise kind of increased over time. And so this noise  
7 issue I think becomes very important in these studies.  
8 The air cleaner is obviously knowing -- doing no good if  
9 participants are turning it off, so I think it's really  
10 important to try to select air cleaners that work and are  
11 appropriately sized, but are also not so noisy that  
12 they're going to drive participants crazy and make them  
13 turn off the air cleaners.

14 --o0o--

15 DR. ALLEN: I just want to say a few words about  
16 kind of how we've selected outcomes, not so much which  
17 outcomes we've selected, but our sort of how we thought  
18 about selecting outcomes. And John highlighted this --  
19 John highlighted this earlier. This is a very complicated  
20 figure showing kind of the different pathways through  
21 which air pollution can ultimately affect cardiovascular  
22 health in this case.

23 And the details aren't important for the point  
24 I'm trying to make here, which is just that I tend to  
25 think of these as kind of a chain of events, this happens,

1 then this happens, then this happens, then this happens.  
2 And I think of that chain as moving from sort of  
3 indicators of mechanism all the way ultimately to some  
4 disease or some clinically relevant outcome, like maybe  
5 it's a heart attack or a stroke.

6 And this is -- this is a little bit sort of  
7 simplified, but you can sort of think of this chain of  
8 events. And so the way that we've thought about outcomes  
9 is to think about kind of where in this chain of events we  
10 want to be when we're doing our study and the trade-offs  
11 involved in being at different parts of this chain.

12 So for example, as you move further to the left  
13 in this figure, you may have measures that are more  
14 sensitive to air pollution, more temporally variable, but  
15 also less -- probably less clinically relevant and  
16 potentially more difficult to interpret and to  
17 communicate. Whereas, you move to the right, you sort of  
18 trade off some of those considerations.

19 And so we've done -- we're less interested in  
20 kind of the mechanisms of how air pollution has its  
21 effects. And so our focus was really on what we call  
22 intermediate outcomes, outcomes that are -- that are  
23 changing on a time scale that we can measure, but that are  
24 also predictive of more clinically-relevant outcomes. So  
25 this is just sort of how we've thought about how these

1 outcomes fit together and how to select one way that you  
2 might select outcomes in your study.

3 --o0o--

4 DR. ALLEN: So just to summarize, I've been, over  
5 the last several years, a real proponent of these  
6 intervention studies for a number of reasons. I think  
7 they provide several advantages beyond just the one you  
8 typically hear, which is that they minimize confounding  
9 bias. You can use them to actually evaluate the benefits  
10 of air cleaners or the air cleaners can simply be a tool  
11 to introduce an exposure gradient, which can be useful to  
12 study.

13 You get a lot of statistical power in these  
14 studies, or you can, if you have a sufficiently high  
15 baseline pollution concentration and if the air pollution  
16 effectiveness is sufficiently high. It's probably obvious  
17 to all of you, but you really need to carefully consider  
18 the size, number, location of the air cleaners and the  
19 amount of noise that they produce.

20 And, of course, I just wanted to kind of finish  
21 by making the point that this is -- this is not meant to  
22 be kind of a comprehensive list of considerations. There  
23 are a lot of things I didn't talk about, including the  
24 ethical implications of these studies, issues around  
25 participant burden, which is -- which you all obviously

1 know about having done a lot of biomonitoring work, and  
2 then a lot of analysis consideration.

3 So, for example, in these studies, you're going  
4 to have a lot of missing data typically and how are you  
5 going to handle that at the -- in the analysis phase?

6 --o0o--

7 DR. ALLEN: So with that, I'll just acknowledge  
8 that the work that we've done that I talked about today  
9 was funded by the Canadian Institutes of Health Research.  
10 And there were a lot of people involved in a lot of  
11 different institutions, too many for me to name. And I've  
12 included here for your -- in case it's of interest, I've  
13 included all of the references for the studies that I  
14 mentioned.

15 So with that, I will finish up and thanks for  
16 your attention. And I'm happy to chat or try to answer  
17 any questions.

18 CHAIRPERSON SCHWARZMAN: Thanks so much, Ryan. I  
19 really appreciate that. You elucidated for me some of the  
20 advantages that I hadn't -- or anyway, some of the -- all  
21 of the situations around these kinds of intervention  
22 studies that are helpful here. We have 15 minutes now for  
23 questions and discussion from both Panel and the audience.  
24 So a heads up to participants and public who would like to  
25 ask questions or provide comments, you can do that by

1 email or through GoToWebinar. And I'll open it up to  
2 panelists who have questions.

3 Tom.

4 PANEL MEMBER MCKONE: Hi. Thanks. That was  
5 really interesting. I think it's very useful to do these  
6 studies. I guess the question -- I just was interested in  
7 a little bit more information about compliance. I mean,  
8 you talked about compliance as an issue in Ulaanbaatar, or  
9 Baatar, and -- but in the British Columbia studies, in the  
10 chart, as I recall, it said the compliance -- the devices  
11 were not pre-set, so they could control the fan speed.  
12 And the fan speed, of course, is really important in the  
13 amount of air volume that's clean.

14 Did you have some opportunities to look at  
15 compliance in those studies and how it affected results,  
16 where it was kind of open to the individuals how much they  
17 turned up the --

18 DR. ALLEN: Yeah. Yeah. Yeah. I kind of -- I  
19 kind of glossed over that very quickly. We didn't -- we  
20 didn't really do much with compliance in the two studies  
21 in British Columbia. We never really settled on a method  
22 of measuring compliance that we were very happy with. And  
23 you mentioned that we didn't do really anything in terms  
24 of trying to control how people used it. We basically  
25 asked them -- when the study started, we asked them to use

1 the air cleaner at the highest setting that they were  
2 comfortable with. But obviously, that will vary from  
3 person to person.

4 And so that is a source -- that is a -- that is a  
5 source of variability in the study with some people using  
6 it on high and some people using it on low. And that's  
7 part what we were trying to address in the Mongolia study.  
8 So I mentioned that we bought the air purifiers from the  
9 manufacturer. And when we did, we actually had the  
10 manufacturer lock the air cleaner on a particular setting,  
11 so it would only operate on one setting. You couldn't --  
12 it was either on or it was off, but there was no adjusting  
13 the fan.

14 In hindsight, that was probably a mistake. And  
15 the reason is, you know, letting the participants turn it  
16 up and down has its own set of problems, but at least if  
17 they're worried about the noise for example, they can turn  
18 it down. In Mongolia, what happened is they were  
19 concerned about the noise and they couldn't turn it down,  
20 so they just turned it off.

21 So having done it both ways, I would -- I would  
22 probably -- my sense is that the way we did it in the  
23 first two studies was probably better. It wasn't perfect,  
24 but it was better, because then at least you're -- it's  
25 better that they use it on low than that they don't use it

1 at all.

2 But, no, we don't have any really good data on  
3 how those -- how those -- you know, turning it up and  
4 down, how that influenced our results. We didn't really  
5 have much in terms of compliance monitoring in those first  
6 two studies.

7 PANEL MEMBER McKONE: Thank you.

8 CHAIRPERSON SCHWARZMAN: Jenny.

9 PANEL MEMBER QUINTANA: Thank you for that really  
10 thoughtful description of pluses and minuses of different  
11 approaches. I just have a vague memory of a study that  
12 was done in Las Vegas looking at black carbon inside and  
13 out in schools, and an air filtration intervention that  
14 was performed. I just remember reading it and they just  
15 remarked that they had this whole system of air cleaning,  
16 but it was completely foiled by the teacher propping the  
17 door open. And I'm just wondering how much like people  
18 opening doors or what instructions -- what's your  
19 experience with instructions about doors and windows open  
20 or not, or -- and how that might affect results?

21 DR. ALLEN: It has a huge effect, because it --  
22 essentially when you open the door, open the window,  
23 you're dramatically increasing the amount of polluted air  
24 that needs to be filtered, right? And so it has a huge  
25 effect.



1 I didn't -- I didn't show it, because, you know,  
2 I couldn't show you everything, but in Mongolia, we looked  
3 at filter effectiveness by season. And the effectiveness  
4 in the summer was basically zero. And we think that's for  
5 two reasons. One is pollution there is very seasonal.  
6 And then in the summer pollution levels are lower and so  
7 people are just less worried about it. And so we think  
8 they use the air cleaners a bit less in the summer,  
9 because they just weren't as worried about it. But the  
10 real driver we think is that people were opening the  
11 windows all the time. Nobody there has air conditioning,  
12 so when it gets hot, you just open your windows, and the  
13 air cleaner just can't keep up. So that's a huge --  
14 that's a hugely important factor. You can basically make  
15 the effectiveness go to zero if you open enough windows.

16 PANEL MEMBER QUINTANA: Thank you.

17 CHAIRPERSON SCHWARZMAN: Are there questions or  
18 comments for Ryan?

19 Shoba, I want to check in about other comments or  
20 questions that are from anyone other than the panelists?

21 DR. IYER: Yeah. Thanks. I see none at this  
22 time.

23 CHAIRPERSON SCHWARZMAN: Okay. Great.

24 Jenny has a question and then I have one after  
25 that. Go ahead, Jenny.

1           PANEL MEMBER QUINTANA: You should go ahead with  
2 yours.

3           CHAIRPERSON SCHWARZMAN: I appreciated your slide  
4 showing the range of looking at sort of indicators of  
5 mechanism versus health outcomes and the pluses and  
6 minuses of each. And I wondered, given that the  
7 intervention study that Biomonitoring California is  
8 contemplating, where we're really looking at -- the design  
9 is to look at biomarkers of exposure, really more than  
10 biomarkers of effect, and whether you have any input for  
11 the Program given some of the liabilities of the  
12 biomarkers that are at that end of the continuum, if you  
13 have any recommendations or suggestions relevant to  
14 that -- this study that they're working.

15           DR. ALLEN: You know, I have to admit I don't --  
16 I don't have a lot of experience with biomarkers of  
17 exposure. We -- you know, we -- in our studies, to  
18 measure exposure, we have kind of done it the old  
19 fashioned way so to speak, which is to measure, you know,  
20 what's in the air, you know, inside people's homes and  
21 outside of people's homes. So I don't have a lot of  
22 experience with biomarkers of exposure.

23           You know, I will say some of the -- some of the  
24 biomarkers that are being proposed in that study, you  
25 know, I would argue are probably more effect biomarkers

1 than exposure biomarkers. You know, certainly the PAHs  
2 and that sort of thing are obviously exposure markers.  
3 But there was some talk of sort of inflammatory markers  
4 and those sorts of things. And I think trying to use  
5 those as biomarkers of exposure is going to be really  
6 difficult to interpret, because they're so non-specific,  
7 right? There are lots of things that cause inflammation.  
8 There are lots of things that cause oxidative stress.

9 And so trying to interpret those as telling you  
10 about exposure I think may be a little bit challenging. I  
11 mean, I guess -- I guess the line between a biomarker of  
12 exposure and a biomarker of effect starts to get a little  
13 bit fuzzy. But that's real the only comment that I --  
14 that I would make is that some of those, I think, you  
15 know, the interpretation may become difficult. Again,  
16 just because they're so non-specific.

17 But as I said, take all this with a grain of  
18 salt, because I have much less experience with biomarkers  
19 of exposure. We've done some work in our studies with  
20 metals, for example. You know, we've looked at cadmium,  
21 and lead, and mercury, and those kinds of things. But  
22 again, my experience with those biomarkers is fairly  
23 limited.

24 CHAIRPERSON SCHWARZMAN: Thank you. And I think  
25 part of the question is how that's being framed in results

1 return --

2 DR. ALLEN: Yeah. Yeah.

3 CHAIRPERSON SCHWARZMAN: -- because participants  
4 tend to just lean so much toward wanting to hear and  
5 therefore hearing conclusions about health impact that  
6 maybe that's part of the balance.

7 But Sara, it looks like you have something to add  
8 here.

9 MS. HOOVER: Yeah, I just wanted to thank you,  
10 Meg, for raising that and note that that's actually one --  
11 one of the challenges we listed and also a particular  
12 discussion question we want to go into. But I did want to  
13 clarify that, yes, it's true we're planning to use them as  
14 biomarkers of exposure, in part because of all the past  
15 SGP input about, you know, this is an exposure program.  
16 Our goals are about exposure. It doesn't really seem  
17 feasible to me and others, my colleagues, to provide a  
18 health interpretation of those biomarkers.

19 And, in fact, we're really using them as  
20 complementary, so we were very aware that even just trying  
21 to use PAHs and VOCs, you know, there's a lot of  
22 difficulty interpreting those. So based on all the  
23 research that Susan, Stephanie, and Julia did, you know,  
24 we're kind of going at it with multiple lines of evidence,  
25 including air measurements, biomarkers of exposure, and

1 biomarkers of effect. Although, we're using them as  
2 another form of biomarkers of exposure. So really the  
3 idea is to give us -- give us a nice suite of information  
4 to try to interpret our results the best as we can. But  
5 we're very aware of the challenges in what we're trying to  
6 do. And we definitely appreciate any -- any ideas on how  
7 to do that better.

8 CHAIRPERSON SCHWARZMAN: Jenny, you had a  
9 thought?

10 PANEL MEMBER QUINTANA: I just had a question,  
11 because I assume that your participants in Mongolia were  
12 possibly lower income than in Vancouver, and -- because we  
13 were working with some homes and schools in Tijuana and we  
14 were -- I was kind of wondering about trying to raise  
15 money for getting air cleaners and wondering if  
16 participants would think the electricity required to keep  
17 them running would be a burden?

18 And I'm just wondering how that came up. Did you  
19 pay for the electricity in Mongolia or did they pay for it  
20 and did they complain or how did that go down?

21 DR. ALLEN: Yeah. It's a good -- it's a  
22 question. Certainly, in kind of a global context, our  
23 cohort in Mongolia was relatively low income. But in the  
24 Mongolian context, they were actually quite wealthy. This  
25 was an urban pop -- apartment-dwelling population. But

1    yeah, so participants received an honorarium for  
2    participating. And part of the intention of the  
3    honorarium was to offset electricity costs. So we  
4    didn't -- we didn't pay the electricity per se, but they  
5    received an honorarium that was sort of intended to cover  
6    that.

7            And we did hear -- again, it was anecdotal, but,  
8    you know, I mentioned complaints about the noise. The  
9    other reason that we heard that participants turned off  
10   the air cleaner or used it less was -- was exactly that.  
11   It was concern about the electricity costs. So, yeah, we  
12   did -- we heard that from a number of participants.

13           CHAIRPERSON SCHWARZMAN: I think that is the end  
14   of our time. And I really want to thank you, Ryan, both  
15   for the thoughtful presentation and sticking around to  
16   respond to questions. And we'll also look forward to your  
17   contributions to the afternoon discussion.

18           With that, I want to move on to our next speaker,  
19   and introduce Maggie Clark, who is an associate professor  
20   in the Department of Environmental and Radiological Health  
21   Sciences at Colorado State University. Maggie's research  
22   has focused on the health effects of exposure to air  
23   pollution, primarily from cooking-related biomass burning  
24   and from secondhand smoke, identifying and interpreting  
25   appropriate measures of exposure, and indicators of future

1 disease risk, as well as elucidating factors that may  
2 confer increased susceptibility to the adverse effects of  
3 air pollution exposures.

4 She's committed to conducting studies within a  
5 community-engaged framework and she will discuss for us  
6 issues around study design, including timing the  
7 measurement of biomarkers of exposure and effect in  
8 relation to air pollution intervention research.

9 Thank you so much, Maggie.

10 (Thereupon a slide presentation.)

11 DR. CLARK: Thank you, Meg.

12 --o0o--

13 DR. CLARK: I also want to take the opportunity  
14 to thank Sara, and Susan, and Stephanie for the invitation  
15 to speak with you all today. It's been enlightening to  
16 see how this process works in California. I'll also start  
17 by saying I have no conflict interest to declare.

18 --o0o--

19 DR. CLARK: So for a quick outline, I'll start my  
20 presentation by talking a bit about the general  
21 perspective about how we approach choosing biomarkers.  
22 And these are primarily being conducted within an  
23 environmental health focused framework for research. As  
24 Meg mentioned, most of my research has focused on the  
25 impacts of household air pollution globally, which I may

1 use the HAP acronym and I know that stands for a couple  
2 other things as well. But when I use it, I'm referring to  
3 household air pollution and I'll describe that in a little  
4 more detail.

5 And I'll specifically use the example of the  
6 HAPIN randomized control trial. And HAPIN stands for  
7 Household Air Pollution Intervention Network, as an  
8 example of a study that has used a lot of biomarkers. In  
9 fact, it represents the largest -- the study that has the  
10 largest set of biomarkers in a household air pollution  
11 study to date.

12 We're targeting both biomarkers of exposure and  
13 effect in three distinct study population groups. So  
14 we're evaluating pregnant women. And then once the child  
15 is born, we're evaluating the children from birth to one  
16 year of age. And then we're also studying women that live  
17 in the same houses. We refer to them as older adult women  
18 that are 40 years and older.

19 And so given the features of this study, you  
20 know, I hope this example will provide, you know, a nice  
21 opportunity to discuss some of the design decisions that  
22 we made in that study that might apply to the California  
23 Biomonitoring study as well.

24 So I'll end my part briefly -- my part of the  
25 presentation by briefly going over some study design



1 considerations, again placed more in sort of a general  
2 environmental health research context.

3 --o0o--

4 DR. CLARK: So in our studies, for the most part,  
5 we tended to simplify sort of this quest for choosing  
6 appropriate biomarkers, again with an environmental health  
7 context into these three questions I have on the slide.  
8 So when thinking about biomarkers of effect, how  
9 informative is the marker regarding disease prediction?  
10 I'll talk a bit more of this -- about this in the next  
11 slide. But I will say that there are plenty of times when  
12 I think understanding more about the mechanism of action  
13 is the goal of research. But today, I'm going to focus  
14 more on instances when biomarker discovery is not the  
15 primary goal of the study.

16 The second point here is how stable is the marker  
17 as it relates to the hypothesized time course of the  
18 modifiable effect. And this is something that Ryan talked  
19 quite a bit about in his talk as well. You know, in other  
20 words, does what we know about a particular biomarker's  
21 ability to change within a person lineup with how long  
22 we've designed our study to last, you know, and are we  
23 targeting the appropriate windows?

24 So the first window being kind of this -- you  
25 know, how long does a participant need to be exposed or

1 alternatively in a lot of the cases we're talking about  
2 today, how long does that exposure need to be removed or  
3 reduced in order to see an observable impact. And the  
4 second window considers how long it might take for the  
5 biomarker to change. So sort of once this process is sort  
6 of set in motion, how long does it take for that biomarker  
7 response to be observable? So this is the case where  
8 there might be a latent period to consider.

9 --o0o--

10 DR. CLARK: All of this is to say is that often  
11 our goal really is to say that if there is a true impact  
12 of the exposure on the proposed biomarker that we've  
13 designed our study in a way that we'll be able to capture  
14 that.

15 I'll also mention that gaining an understanding  
16 from the within and between person variability is really  
17 important for sample size consideration as well. And I  
18 know Ryan discussed that during his talk as well. And so  
19 I think that's complementary with what I'd like to talk  
20 about a bit today.

21 The third point here is about the feasibility of  
22 measuring a biomarker in a study setting. And so, of  
23 course, that really depends on the type of study that  
24 we're talking about. For a lot of the work I do in  
25 household air pollution studies that often occur in rural

1 areas in low and middle income resource settings, it's a  
2 big challenge that we have to consider.

3 It's likely not as big of a challenge in -- you  
4 know, in a school setting in California. Although, it is  
5 still a challenge, I'm sure. But because of that reason,  
6 I won't be spending too much time on that third marker --  
7 third issue. Sorry.

8 --o0o--

9 DR. CLARK: So this probably also looks a bit  
10 familiar to what Ryan showed earlier. And I have a  
11 feeling I could say that a lot during my presentation,  
12 Ryan. But -- so there are various iterations of this  
13 figure that have been used to sort of conceptualize the  
14 idea of understanding biomarkers and research. And you  
15 can see the progression from exposure, often a measure of  
16 a pollutant that's external to the participant to then  
17 internal dose, which can be estimated by using things like  
18 body size, and breathing rates in conjunction with the  
19 external exposure, but for which biomarkers of exposure  
20 have become quite useful, and on to various stages of  
21 biomarkers of effect before actually reaching this onset  
22 of clinical disease.

23 So this particular iteration was adopted from a  
24 version that the National Research Council had published  
25 in the late eighties. But I like this one, because

1 DeCaprio adds this top portion here where, in essence, he  
2 incorporated this idea that I think is used much more  
3 commonly now with the exposomics field of this sort of  
4 meet in the middle concept. So for exposomics and for a  
5 lot of the non-targeted research that's being conducted,  
6 you know, the concept is that you study exposure and then  
7 you see, you know, in the non-targeted world what shows up  
8 as being associated with the exposure and then you sort of  
9 do the opposite, where you have diseased and non-diseased  
10 people, and you kind of go backwards and say, well, here  
11 are these non-targeted biomarkers that show up as  
12 interesting. And so where is the overlap and should we be  
13 pursuing that mechanism in more of a targeted approach.

14 So I do think it also applies in a more targeted  
15 realm, which I'll be talking about more today and for  
16 which the California Biomonitoring study is using.

17 And really I think the basis for applying what we  
18 do to -- applying this type of figure to what we do is the  
19 fact that we very rarely can design a study in the chronic  
20 health effects world that actually answers the full  
21 picture here, all the way from exposure to clinical  
22 disease.

23 We would need much more time and money than what  
24 we're typically given, and, you know, even if we have a  
25 five-year study design. So if we are interested in

1 biomarkers of effect, we can shorten the time frame of our  
2 environmental health studies by gleaning knowledge from  
3 some of the more clinical epi literature that's out there,  
4 some of those long-term studies that have helped us to  
5 define this second arrow here. And so we may know a bit  
6 before we conduct our studies about what might be good  
7 well accepted predictors of the clinical disease that  
8 we're interested in.

9           So if we're able to select, you know, one or a  
10 handful of those biomarkers that are commonly accepted as  
11 predictors of disease risk, then we can focus on this  
12 first arrow here when designing our study. So linking the  
13 exposure with those biomarkers then allows us to  
14 characterize this association of interest, which really  
15 allows us to say something about the likelihood that the  
16 exposure will lead to increased risk for some clinical  
17 disease in a much shorter time frame than what we would  
18 need if we had to study the entire picture.

19           Again, this is a point where participant burden  
20 comes into play here as well, especially when some of the  
21 clinical diseases might not be readily reported for  
22 something like a secondary data analysis.

23                   --o0o--

24           DR. CLARK:    So I'll shift focus a little bit now  
25 to talk about that Household Air Pollution Intervention

1 Network study as an example of some of the biomarker work  
2 I've been doing. It's a randomized controlled trial of  
3 free liquefied petroleum gas fuel, including the stove,  
4 for 18 months. And I'll dig into those details a little  
5 bit in following slides.

6 But the trial, which is still ongoing, is among  
7 800 households in each of these four study locations  
8 across the globe. I'm not going to go into it -- much  
9 justification for the trial itself, but I did want to  
10 point out that our protocol papers, one for the main  
11 trial, one for the exposure assessment, one for the  
12 biomarker approach have been published in Environmental  
13 Health Perspectives.

14 So I, you know, encourage you to take a look at  
15 that, if you're interested in some of the justification  
16 behind the reason we're conducting household air pollution  
17 clean -- or cleaner fuel intervention.

18 --o0o--

19 DR. CLARK: So as I mentioned, the intervention  
20 is a locally available LPG stove having at least two  
21 burners. We provided the continuous free supply of the  
22 gas for 18 months. These photos here show two examples of  
23 traditional stoves, one from India and one from Peru. All  
24 households had to be using solid fuel burning stoves as  
25 their primary stove to be eligible for the trial, along

1 with a few other eligibility criteria that I'll get into.

2           The two photos here on the bottom show examples  
3 of the LPG stoves in households that were randomized to  
4 the intervention arm. And both of these also depict the  
5 educational and promotional materials that we use to  
6 encourage the safe and exclusive use of LPG. So in  
7 Guatemala, there were calendars provided along with some  
8 of the behavioral messaging. And in Rwanda there were  
9 posters.

10                   --o0o--

11           DR. CLARK: Our primary aims were to determine  
12 the effect of the LPG stove and fuel intervention on  
13 health and in the four LMIC settings. The second aim was  
14 to establish an exposure response curve for all of the  
15 primary and secondary outcomes.

16           And then thirdly, the one I'll focus on today,  
17 the objective was to determine the relationship between  
18 LPG intervention and biomarkers of both exposure and  
19 health. And I'll describe a bit more about the overall  
20 study design here. But as I mentioned, I will be focusing  
21 more on the biomarker aim towards the end of my time.

22                   --o0o--

23           DR. CLARK: So as I mentioned earlier, there were  
24 800 households in each of the four country locations. The  
25 primary trial endpoints involved outcomes in the children,

1 for which we hypothesized that that in utero exposure  
2 would be relevant. And so the goal was actually to  
3 recruit women and randomize them before -- between nine  
4 and 20 weeks of gestation. We then also followed the  
5 child from birth to age one year.

6 And then in about 15 percent of the households,  
7 there was this older adult women population, which was  
8 nice, because it gave us the opportunity to ask questions  
9 related to chronic diseases, even though it's a much  
10 smaller sample size. But this was important for the  
11 biomarker of effect design as well.

12 --o0o--

13 DR. CLARK: So I don't plan to walk through this  
14 entire table, but this is the Table 1 from the main trial  
15 protocol paper. So please check it out if you're  
16 interested in kind of understanding the full gamut of  
17 measures that we collected in the study. For this  
18 presentation purpose, I just want to point to the scale of  
19 the project, first of all, and then point out that there  
20 were at least seven visits over the course of the 18  
21 months with measures collected among the pregnant women,  
22 the child, and the older adult women.

23 So I'll come back to this a little bit more with  
24 a more specific focus on the biomarkers in a few slides.

25 --o0o--



1 DR. CLARK: Again, without going into too much  
2 detail, I wanted to provide the study timeline as a  
3 reference to give you a sense of how we've moved through  
4 each phase of this study from planning and piloting, all  
5 the way to analysis and dissemination. You know, of note,  
6 is that even once COVID-19 lock downs -- or COVID-19  
7 related lockdowns started to happen around the world, we  
8 were able to continue delivery of the fuel. And so the  
9 intervention was pretty much unaffected fortunately.

10 As you can see here, we anticipate unblinding  
11 here after the last child, the youngest child born, turns  
12 one. And so we will not be unblinding the health outcomes  
13 still for a couple of months.

14 --o0o--

15 DR. CLARK: So I can't talk about the HAPIN trial  
16 without mentioning the fact that we have been borrowing  
17 from expertise all around the world to conduct this study.  
18 The primary PIs are Tom Clasen at Emory, Jen Peel at  
19 Colorado State, and Will Checkley at Hopkins. Dana Barr  
20 and I co-lead the biomarker core. And Dana is located at  
21 Emory University. I'll also say that the trial is funded  
22 by the NIH and the Gates Foundation.

23 --o0o--

24 DR. CLARK: Okay. So digging into the biomarkers  
25 a bit. Our overarching goal was to characterize a wide

1 range of the biomarkers in each of the participant groups,  
2 so pregnant women, older adult women, and child. For this  
3 talk, I'm going to focus here on this bolded third bullet  
4 to identify, prioritize, and measure specific biomarkers  
5 of household air pollution exposure and effect in urine  
6 and dried blood spots.

7 This fourth bullet is more in line with our  
8 biomarker discovery objective. So those are things like  
9 metabolomics and microRNA that I won't discuss in detail  
10 today but am happy to chat about in the Q&A if there's  
11 interest.

12 --o0o--

13 DR. CLARK: I also am not going to spend too much  
14 time on the first two bullets, but I did want to just show  
15 you kind of the very diverse settings that we were  
16 collecting biomarker samples in. So, of course, the QA/QC  
17 checks had to be tailored to each location for us to have  
18 confidence in them.

19 We -- in addition to kind of training the local  
20 field teams in developing those QA/QC checks, we also had  
21 a goal of developing local lab capacity in our India study  
22 site. So the heavy lifting there was done by my much more  
23 analytically minded colleagues, Dana Barr at Emory  
24 University and Naveen Puttaswamy at Sri Ramachandra  
25 Institution in Chennai. As the epidemiologist part of the

1 leadership team, I'll focus more on study design  
2 considerations.

3 --o0o--

4 DR. CLARK: So as I hinted at earlier, this is  
5 a -- this is a piece of the biomarker collection design  
6 that's taken from that much larger table I showed a few  
7 slides ago. You can see here that the six -- these six  
8 HAPIN visits plus birth incorporated biosampling. And  
9 then the table just lays out which participants. If  
10 there's an X, that means that participant had a sample  
11 collected.

12 The pregnant women had the same -- had  
13 collections during gestation. The child had collections  
14 during -- from birth to the first year of life, and then  
15 the older adult women had collections at all six visits.

16 --o0o--

17 DR. CLARK: So the actual selection of which  
18 biomarkers to measure in the urine and dried blood is  
19 fairly established for the biomarkers of exposure here,  
20 but we have intentionally built in the ability to remain  
21 flexible with many of the biomarkers of effect. So we  
22 want to evaluate markers that will allow us to say  
23 something about the various pathways that we think are  
24 important in regards to air pollution exposure,  
25 cardiovascular disease, metabolic, cancer and respiratory

1 endpoints.

2 But, you know, as we've already been talking  
3 about today, we can also take advantage of the fact that  
4 many of these major chronic diseases share early  
5 mechanisms, such as inflammation and oxidative stress.

6 --o0o--

7 DR. CLARK: So one of the reasons we actually  
8 need to really focus on biomarker prioritization is that  
9 in the end of the study we're going to have over 55,000  
10 samples. So it isn't going to be logistically feasible to  
11 measure every analyte in every sample, of course, but we  
12 also don't think we need to do that in order to answer our  
13 study objectives.

14 So we have a pretty good sense of the types of  
15 biomarkers that are most appropriate for each participant  
16 subgroup. So as you can see here with this table on the  
17 right, while we'll measure exposure biomarkers in all  
18 three of the participant groups, we focused a marker of  
19 anemia in the pregnant women and the child, but the  
20 glycate of the hemoglobin, the HbA1c, measure in the older  
21 adult women. So that's something that's fairly well  
22 established already, even though we're maintaining some  
23 degree of flexibility.

24 We've also spent a lot of time validating our use  
25 of dried blood spots. So if there -- if information

1 wasn't available before we started this study in the  
2 literature, then we used formative samples to understand  
3 how well correlated dried blood spot was with venous-drawn  
4 blood for example.

5 We also used those formative research samples to  
6 understand what we could about within versus between  
7 person variability, which also as Ryan mentioned earlier,  
8 you know, is really important when thinking through sample  
9 size considerations and statistical power for your study.

10 One downside of using dried blood spots is that  
11 the volume -- the sample volume can be limited. And so  
12 the prioritization comes into play more for the  
13 blood-specific markers that we're interested in. So to  
14 help with that, we do plan to measure all analytes from  
15 the baseline samples to learn something about the  
16 associations between exposures and outcomes  
17 cross-sectionally, which we then hope will inform our  
18 intention to treat analysis and the longitudinal exposure  
19 response analyses with all of the repeated samples. We'll  
20 also have an analysis where we conduct -- where we measure  
21 analytes in a five percent subsample of the trial  
22 participants and then we'll also use this information to  
23 really help us better understand within and between person  
24 variability in those markers. And so I'll use C-reactive  
25 protein as an example of that one here in a moment.

--o0o--

DR. CLARK: So I do want to state that while I'm sort of pointing to the factors about this study that highlight the challenges we're facing, I certainly don't want to be remiss in saying that we are -- also recognize that we have a pretty exciting opportunity to answer some of these research questions that have been, you know, sitting in this realm of knowledge gaps for quite some time in our field. So with that said, these next two slides just provide an example of how we've gone about working through prioritization of the biomarkers of -- in the study.

So we just take a Excel spreadsheet and lay out the urine aliquots and the dried blood spots and start filling in the samples with what we think is higher priority. So, for example, we know how much of the urine it takes to measure the PAH metabolites we're interested in. We also have to consider our responsibility to provide some subset of our samples to the NIH's BioLINCC repository. We have the second tier of exposure markers that I'm happy to talk about in the Q&A as well. And then we also have encouraged investigator-initiated proposals to add biomarkers. And this is really just our attempt to stay relevant, particularly with new papers that may have come out since we wrote the grant.

1           And so an example is Kyle Steenland is leading a  
2 study that we're doing measuring COVID-19 antibodies in  
3 dried blood spots. And similarly, Miles Kirby is leading  
4 a study associated with Malaria risk in Rwanda. And so  
5 those are just some of the ways we start to fill in these  
6 tables.

7                               --o0o--

8           DR. CLARK: So this is that same sort of  
9 prioritization scheme. This one was for the child  
10 samples. This is the older adult women. So again, we  
11 have six repeated measures, for that subgroup of the  
12 population. And here I really just wanted to point out  
13 the difference in that a lot of the literature seems to  
14 suggest that C-reactive protein -- the variability in  
15 C-reactive protein seems to be driven by between-person  
16 variability instead of within among healthy populations.

17           And so if that holds to be true in our sort of  
18 initial formative analyses, then what we might be able to  
19 do with that information is to say okay, well, we only  
20 need to measure C-reactive protein once during follow-up  
21 instead of using that first spot at every single visit.  
22 So this would allow us to answer more research questions.

23                               --o0o--

24           DR. CLARK: Okay. So my last slide to wrap-up,  
25 and actually a lot of these considerations are ones that

1 Ryan covered well already. So in my last minute, I'll  
2 move quickly through these a bit. But oftentimes, when we  
3 want to choose a comparison group in a biomarker study,  
4 it's the same really with any health and outcome study.  
5 What we really want to understand is the frequency of the  
6 outcome in a group of exposed people compared to the  
7 frequency of the outcome in the same group of people at  
8 the same time if they had not been exposed.

9           So this latter group represents what we call the  
10 counterfactual. In the absence of time machines in  
11 various movies, you know, the counterfactual is not  
12 observable. So we design studies that we believe are sort  
13 of along this continuum as far as ability to approximate  
14 the counterfactual.

15           HAPIN utilized a parallel random -- randomized  
16 control design. Some of the work Ryan described used the  
17 randomized cross-over design, which are really great at  
18 approximating the counterfactual when the exposure of  
19 interest is shorter acting.

20           And we also heard from John Balmes with an  
21 observational study design.

22           So next, we utilized the literature to  
23 hypothesize the time course or the speed of the  
24 anticipated exposure response mechanism that we're hoping  
25 to characterize. So again, this really is the same for



1 biomarkers as it is for typical health endpoint studies.  
2 But the hope here is that if we're utilizing biomarkers,  
3 that we actually will be able to learn something about the  
4 impact of the exposure or the intervention as we've been  
5 talking about a lot today in a shorter time period  
6 compared to the need to wait for those clinical outcomes  
7 to manifest.

8 I talked a lot about the anticipated variability  
9 in the biomarkers already. So in the interest of time,  
10 I'll go ahead and skip over that one, because I think it's  
11 repeating a lot of what John and Ryan have discussed  
12 already.

13 And I'll just add to the susceptible populations  
14 discussion with the fact that, you know, I agree with  
15 everything that Ryan had said already. And when we don't  
16 know, you know, this simplified distribution of a  
17 continuous outcome here shows the difference between  
18 baseline and post-intervention. And the idea here is that  
19 if we don't know to describe our population in terms of  
20 responders and non-responders, we might end up with just  
21 noise in our post-intervention analysis.

22 So the idea is to really be able to characterize  
23 these. And, of course, study design considerations also  
24 have to play a big role.

25 So with that, I will go ahead and turn it over.

1 CHAIRPERSON SCHWARZMAN: I need to unmute.  
2 Thank you so much, Maggie for that presentation. And  
3 again, we have 15 minutes here for questions and  
4 discussion points from both the Panel and audience  
5 members. We'll have a break after that and then we'll  
6 have our longer afternoon discussion specifically  
7 targeting the intervention study that the Program is  
8 designing.

9 Questions for Maggie?

10 Maybe it was just so clear --

11 (Laughter.)

12 CHAIRPERSON SCHWARZMAN: -- that no one was  
13 follow-up questions. Jenny, go ahead.

14 PANEL MEMBER QUINTANA: Hi. Thank you. I was  
15 waiting to see if other people wanted to jump in first,  
16 because I thought it was so fascinating. I'm just  
17 interested just in your blood spots, because that's such a  
18 wonderful approach when you have to have a multi-continent  
19 study, because getting blood or serum is a real nightmare,  
20 as I'm sure you know. And I just had some practical  
21 questions. I mean, are these stable at room temperature  
22 or are they just dried, and can they be mailed, and, you  
23 know, are they completely robust in that sense, I guess,  
24 would be my question?

25 DR. CLARK: Jenny, as you're probably guessing,

1 my answer is it depends.

2 (Laughter.)

3 DR. CLARK: So some analytes are perfectly fine,  
4 as far as degradation goes at room temperature. And there  
5 have been lots of more chemistry-focused studies that have  
6 shown, you know, how long you can leave a dried blood spot  
7 card at room temperature. We -- because we could, we  
8 avoided that and so we did end up freezing the samples  
9 after they were collected, you know, on the sites from our  
10 local partners before getting the cards to Emory.

11 But, yes, I mean, if you're interested in a  
12 particular analyte, there probably is a paper that's been  
13 written describing. And it does get more complicated as  
14 far as, you know, does it matter if you take a punch  
15 towards the end of the spot or in the middle of the spot.  
16 And so Dana Barr at Emory has been doing a lot of sort of  
17 up-front work to make sure that we can have confidence in  
18 the analytes that we're measuring in the end.

19 One of the other big considerations is blood  
20 volume standardization with dried blood. And so that's a  
21 little tricky for us, because hemoglobin is often used as  
22 a standardizing factor. And we think air pollution is  
23 associated with hemoglobin or we're hypothesizing that it  
24 is. We want to understand if it is. And so, for us,  
25 we're trying to understand if there might be other markers

1 that would be better. And some analytes are pretty  
2 robust, I think, to that blood volume standardization  
3 issue. C-reactive protein I think is one, but there are  
4 some that I think we do need to be worried about that.  
5 And so potassium is an example of something we might end  
6 up using.

7 PANEL MEMBER QUINTANA: Thank you. So did you  
8 ship them on dry ice from these centers, or just cold  
9 or --

10 DR. CLARK: Actually, we did not. We just  
11 shipped them in cooler boxes that were fairly well  
12 contained, but with ice packs.

13 PANEL MEMBER QUINTANA: I see.

14 DR. CLARK: So we did not have the luxury of  
15 using dry ice in many of the locations. So the number of  
16 freeze ball cycles that various analytes are able to  
17 withstand is also typically published as part of those  
18 feasibility or validation studies, but we felt confident  
19 in that approach.

20 PANEL MEMBER QUINTANA: No, that's great if you  
21 don't have to use dry ice, because that's so difficult for  
22 your partners, like you're saying, so that's wonderful.

23 DR. CLARK: Yeah.

24 PANEL MEMBER QUINTANA: Thank you. So  
25 interesting.

1 CHAIRPERSON SCHWARZMAN: Susan, please go ahead.

2 MS. HURLEY: Yeah. Thank you, Maggie. That was  
3 such an interesting talk. I think one of the most  
4 impressive things was you were able to continue through  
5 COVID, but --

6 (Laughter.)

7 MS. HURLEY: But I just had a specific question  
8 about the table that you showed where you showed which  
9 biomarkers you were measuring for your various groups.  
10 And I noticed for the kids you're measuring markers --  
11 inflammatory markers, but not oxidative stress. And I was  
12 just wondering if you could comment on how you came to  
13 that decision?

14 DR. CLARK: So that's a good question. And  
15 Susan, yeah, to say one line about COVID seems very  
16 inadequate, but yes, that was --

17 (Laughter.)

18 DR. CLARK: The ability for the teams to kind of  
19 continue that supply of the intervention was pretty  
20 remarkable. So I think you might be referring to the  
21 dried blood spot list. But if not, then I think I may  
22 have made a mistake, because in urine we are measuring  
23 8OHdG in all the participants. We will have that marker  
24 in the kids.

25 But you're right, I mean, we're still -- so what

1 I would like to do is measure telomere length in the dried  
2 blood spots. But this is another issue that I think is  
3 important to think about when prioritizing biomarkers,  
4 because it's doable. And NIH is actually interested in  
5 funding studies that are looking at telomere length. And  
6 that really is because we're starting to understand that  
7 it really might be this really excellent indicator of  
8 cumulative oxidative stress.

9 And so -- but the problem with what we're doing  
10 is that it takes two full blood spots to do it. And so  
11 for us that's a lot of real estate, when thinking about  
12 how much sample we have. So I think, of course, we owe it  
13 to the study as a whole and to our participants that  
14 provided these samples to think about whether or not we  
15 really can go with that biomarker as kind of that  
16 cumulative oxidative stress marker or not. But it would  
17 be really interesting to at least get to do it in a  
18 subsample.

19 MS. HURLEY: Oh, yeah. Yeah. Okay. Thanks.

20 CHAIRPERSON SCHWARZMAN: I want to check in with  
21 Shoba if there's anything from the audience and then I see  
22 Ulrike.

23 DR. IYER: Hi. I have one question passed along  
24 to me from Duyen Kauffman. And you might have mentioned  
25 this, Maggie, but were there incentives or honoraria in

1 your programs?

2 DR. CLARK: So great question. And there  
3 actually is a publication on that, because it was, as I'm  
4 sure the questioner is hinting at, extremely challenging  
5 to figure out what an appropriate compensation is for this  
6 type of research study. So that study is -- actually, the  
7 first author is Ashlinn Quinn. And it's published in --  
8 sorry, I can't -- I don't have the title right here, but  
9 it's about control compensation for HAPIN. There was a  
10 lot of formative work with our community groups in each of  
11 the four locations to figure out what we should do as far  
12 as the control groups being compensated, because in one  
13 sense, we wanted to understand the impact of the ex -- the  
14 intervention itself on these outcomes that we had. We  
15 didn't want it to be the fact that there was some  
16 socioeconomic status advantage from having received the  
17 cleaner stove.

18 And so there was some consideration of, well,  
19 let's try to match the socioeconomic potential gain  
20 throughout the 18 months and then there was another  
21 conversation that was more like, okay, well, let's just  
22 wait. Let's not interfere with the control group at all  
23 and let's wait until the end of the study. So the  
24 decision ended up being for us, and not saying that it's  
25 right across the board, but that there was control

1 compensation.

2           Some research sites, based on what their  
3 community groups were giving them feedback, gave smaller  
4 incentives throughout at each visit in the control group,  
5 and a larger one at the end. And some of our countries  
6 just waited until the end for that control compensation.

7           Hopefully that answers the question.

8           CHAIRPERSON SCHWARZMAN: Ulrike.

9           PANEL MEMBER LUDERER: Yeah. Hi. Thank you for  
10 that really interesting and fascinating talk. My  
11 question, and you may have said something about this, is  
12 there any plan to return results to the participants? And  
13 if there is, you know, I'm sure there's many challenges of  
14 these different cultures of all the sites. And if you  
15 could talk a little bit about that, I think it would be  
16 very interesting to hear about.

17           DR. CLARK: Thanks for that question, Ulrike.  
18 Yeah, I think you hit the nail on the head as far as this  
19 being a huge challenge. And I will say personally I think  
20 I completely failed at that in the past, as far as really  
21 appropriately giving results back. So in -- it is  
22 important to think about what is meaningful in the local  
23 context for wherever you're conducting a study, right?

24           And so I will say that the NIH has supported  
25 studies focused on the bioethics of conducting this type



1 of work. And so we do have a supplement to work with  
2 local community groups to really figure out if -- what we  
3 had proposed was to just conduct a community meeting,  
4 where we provide the basic results and allow opportunity  
5 for questions. But that just seems so insufficient really  
6 when you think about how much -- how -- I mean, even just  
7 with the biosamples how many samples that each person was  
8 providing. And so we are working with a couple of  
9 anthropologists on this supplement to start thinking about  
10 what the formative early research results we had from the  
11 trial, what is most appreciated by the participants, how  
12 is it presented best.

13 And so some of the work we've done started with  
14 exposure monitor -- the exposure results that we have for  
15 each person. And so in that context, what we've -- I  
16 mean, this is extremely early analysis of the focus groups  
17 by our social scientist colleagues, but it really seems to  
18 be pointing towards kind of putting the exposure within  
19 the context of the entire trial.

20 But then, you know, I think sometimes the concept  
21 that there's another group that got something different  
22 than you isn't always easy to understand, because a  
23 research realm is not intuitive in all locations. And so,  
24 we're -- I guess my long answer to what I really only have  
25 a short amount of information on is that we're trying to

1 understand how to be better about that and try to make  
2 sure that we're sort of honoring the commitment that these  
3 participants make when they volunteer to be in these  
4 studies.

5 PANEL MEMBER LUDERER: Thanks.

6 CHAIRPERSON SCHWARZMAN: Thank you so much for  
7 that discussion.

8 That brings us to our afternoon break. We have  
9 15 minutes now for a break. And if folks can be back  
10 promptly, we'll start right at 3:10 and move into our  
11 afternoon discussion session. So thank you so much to  
12 you, Maggie and Ryan, and -- who added so much to our --  
13 the contributions by the other speakers also. And we'll  
14 resume at 3:10

15 (Off record: 2:54 p.m.)

16 (Thereupon a recess was taken.)

17 (On record: 3:10 p.m.)

18 CHAIRPERSON SCHWARZMAN: Okay. I want to welcome  
19 everyone back from the break and reintroduce Susan Hurley,  
20 who is going to introduce our discussion session. She is  
21 a Research Scientist in the Safer Alternatives Assessment  
22 and Biomonitoring Section of OEHHA. And she'll provide a  
23 brief introduction to the questions that the Program could  
24 use input on with regard to this planned study.

25 I'll turn it over to Susan and then we'll have a

1 discussion.

2 (Thereupon a slide presentation.)

3 MS. HURLEY: Okay. Thanks, Meg.

4 So I think that the purpose of this afternoon  
5 discussion session is really an opportunity to delve  
6 deeper into some of the challenges I mentioned earlier,  
7 and as well as some other design issues -- other issues  
8 around design and interpretation. We came up with some  
9 informal discussion questions, which I'll present on the  
10 next slides, but we welcome your input on, and any topics  
11 you think would be useful to discuss.

12 Okay. I'm sorry. My slides aren't -- okay.  
13 There we go.

14 --o0o--

15 MS. HURLEY: So the first question has to do with  
16 timing. As I said in my presentation, the first urine  
17 collection will be done in the morning using first morning  
18 void, but we're still trying to nail the optimal timing  
19 for the after-school collection, so that -- the question  
20 is what is that optimal timing for that collection to best  
21 reflect the air pollution exposures that are experienced  
22 during the school day, given that the biomarkers that  
23 we're looking at?

24 And secondary to that is how should we expect  
25 diurnal variations of the various biomarkers to be

1 considered in evaluating the optimal timing for that  
2 afternoon urine collection?

3           And then to help with the interpretation of  
4 laboratory results, we will be administering on-line  
5 questionnaires. So, you know, which topics would you  
6 consider the highest priority for inclusion on the  
7 questionnaires? I'm going to actually show -- on the next  
8 slide, I'll give you a list of -- a more detailed list of  
9 some of the topics we're currently considering, but we'd  
10 like to know if there are other factors that aren't  
11 captured on this slide that you think we should consider  
12 including. And then also what time frame should we --  
13 should be covered when asking about these factors, so the  
14 last two or three days, last week, or something else?

15           So these are the possible question topics that  
16 we're considering for inclusion on the questionnaires.  
17 I'm not going to read through all this, but we can bring  
18 it back up when we get to this part of the discussion.  
19 But it -- overall, we've -- we're considering topics that  
20 cover demographics, some of the characteristics of the  
21 home, some of the activities in the home, you know, recent  
22 activities, as well as the child's activities and some of  
23 their health and medication use.

24           So I won't linger on this too long, because we  
25 can bring it back up when we are discussing this.

--o0o--

MS. HURLEY: Other questions we would love some input on is how can we use biomarkers of oxidative stress and inflammation to support the interpretation of our biomarkers of air pollution exposures? So this is more of a scientific question. But then we also have the question of how to communicate the results from biomarkers of oxidative stress and inflammation to our study participants. So that's, you know, more an issue of results return.

And then because we have a very narrow time window to conduct the study, we may have to proceed even during wildfire. So under this scenario, are there any specific study design modifications we should consider?

So those are some of the questions we have. But as I said, we're welcome for discussion on any topics you all think would be useful. And with that, I will hand it back over to Meg who will facilitate the discussion section.

MS. JARMUL: Meg, I think you're muted.

CHAIRPERSON SCHWARZMAN: Yeah. Sorry. I'm juggling a switch in who is screen presenting and all of that.

So I'm not going to show my -- oops, something is happening here.

1           Sorry. GoToWebinar is threatening to kick me  
2 off. So if that happens, I will log back on. It's to do  
3 with the screen sharing and giving it permission to record  
4 and things like that. Sorry for that.

5           So I want to open it up to discussion now. We  
6 have an hour for this portion. The Program is asking for  
7 lots of very specific input on these questions. And I  
8 think my preference for how to do this is that I'll leave  
9 it open at first if -- for thoughts and then return --  
10 once people have sort of volunteered whatever thoughts  
11 they have, we'll return to the sort of organized  
12 presentation of questions to make sure that we've provided  
13 input on each of them and see if we can elicit any other  
14 responses if there's -- if the Program isn't getting the  
15 input that you need.

16           And so before we do this, I just want to remind  
17 everyone we'll stick to the same sort of participation  
18 methods that we've been using. Panel members, I can see  
19 you, so you can just raise your hand. Guest speakers or  
20 Program staff, if you want to speak, just turn on your  
21 webcam and you'll show up and I can call on you -- you  
22 know, raise your hand and I can call on you.

23           For attendees, you know, who can't show up on  
24 webcam, if you want to speak during the discussion  
25 session, please just alert us by using the question or

1 raise hand feature on GoToWebinar and I will be checking  
2 in with Shoba who's monitoring that, and we'll call on  
3 you. Then you would have to unmute yourself to ask your  
4 question or provide your comment. And then just remember  
5 to mute -- remute yourself once you've finished speaking.

6 Everyone aside from Panel members, you can turn  
7 off your webcam and mute yourself once you've finished  
8 speaking. So just pop on to speak.

9 As before, webinar attendees can also submit  
10 written comments or questions via GoToWebinar or by email  
11 to biomonitoring@oehha.ca.gov and we'll read them --  
12 sorry, read them out loud.

13 So that's enough of the introduction for the  
14 moment. And I want to turn it over to Panel members for  
15 input and comments, or raising questions of your own, or  
16 whatever is on your mind about these study design  
17 questions.

18 Yeah, Veena.

19 PANEL MEMBER SINGLA: Thank you.

20 On the -- on the question of the results return,  
21 I wonder if it might be helpful to do like a -- maybe a  
22 survey or questionnaire with the parents at the start of  
23 the study to understand what's most important for them to  
24 know about the results -- the results return and maybe ask  
25 some questions getting to this -- you know, their

1 scientific uncertainty or, you know, kind of framing out  
2 the general issue and then asking, you know, what kind of  
3 information would be most helpful to you, you know, given  
4 scientific uncertainty or kind of other issues related to  
5 interpreting these results, so to maybe get a sense from  
6 the parents what they most want to know and what kind of  
7 information would be helpful to them.

8 CHAIRPERSON SCHWARZMAN: Oliver.

9 PANEL MEMBER FIEHN: Yeah. You also had  
10 somewhere the point diet. This is an open-ended question  
11 or I don't know how you -- what kind of responses you  
12 expect there. This is really hard to ask people about  
13 their diet. I'm just saying that I don't think you really  
14 want to do that. It's difficult, scientifically difficult  
15 and open-ended.

16 CHAIRPERSON SCHWARZMAN: Can I ask just a  
17 clarifying question about that, because I think it's  
18 probably worth starting a discussion about diet. Jenny  
19 had a comment earlier that we sort of deferred to this  
20 discussion section to -- session and that was Jenny's  
21 comment was more about her view that providing dietary  
22 guidance is not helpful and potentially complicating. So  
23 that's a little bit different.

24 But Oliver, could you say more about -- you know,  
25 I hear you saying that it's -- I'm just wondering if



1 you're talking about evidence that it's really hard to get  
2 accurate dietary information or is it hard to know what  
3 the right things are to ask?

4 PANEL MEMBER FIEHN: No.

5 CHAIRPERSON SCHWARZMAN: If you're talking PAH  
6 exposures, which I assume is what, Susan, you're mainly  
7 interested in with dietary exposure. Just that there's no  
8 good kind of measure of -- that bears out about dietary  
9 exposure to PAHs. Can you just elaborate a little bit,  
10 Oliver.

11 PANEL MEMBER FIEHN: Oh, okay. So if that's the  
12 question, then it's different than I thought. If the --  
13 like do you burn your food? I don't know. But that might  
14 be a little easier to ask, of course, right, if that's  
15 the -- you know, like do you have your own -- do you often  
16 cook on fire and have it like barbecued it in a way.  
17 That's, of course, easier to ask and easier to answer, if  
18 that's what you want.

19 MS. HURLEY: Yeah, that --

20 MS. HOOVER: Yeah, Susan, you want to --

21 MS. HURLEY: Yeah, that

22 MS. HOOVER: I was going to say diet is the  
23 topic. These are not the questions on our questionnaire.  
24 These are just topics we're planning to cover and we  
25 already have developed questions related to PAHs, because

1 of our East Bay Diesel Exposure Project. Basically, we're  
2 trying to get at, you know -- and you know, we know about  
3 barbecued food. We've seen that effect, where somebody  
4 ate a barbecued chicken meal in one study and they had an  
5 elevated PAH level. We're just trying to figure out are  
6 we missing anything? Are there things that, you know, you  
7 would chime in about.

8 PANEL MEMBER FIEHN: If it's a really targeted  
9 question, was it a really targeted answer (inaudible) of  
10 course.

11 MS. HURLEY: Right. Right.

12 CHAIRPERSON SCHWARZMAN: Yes. Jenny.

13 PANEL MEMBER QUINTANA: So I had kind of a little  
14 laundry list, is that appropriate to -- of comments.

15 One I guess is that, especially if you're using  
16 biomarkers of late exposure, early effect, if I'm  
17 remembering right, and I apologize if I got this wrong,  
18 but you're splitting the kids into two groups, right?

19 MS. HURLEY: Yes.

20 PANEL MEMBER QUINTANA: One getting the  
21 intervention, one not? I mean, to me, I think using each  
22 person as their own control for the biomarkers would be  
23 much --

24 MS. HURLEY: Yeah.

25 PANEL MEMBER QUINTANA: You'd get rid of a lot

1 of -- a lot of variability that comes from their other  
2 exposures at home or what have you. It just seems like --  
3 had you thought about that? And you mentioned being  
4 really time limited and I don't understand what those  
5 limits were. Was it that you only had money to go there  
6 for one week or -- I wasn't sure what the limits were that  
7 you're saying it was very time limited.

8 MS. HURLEY: Well, with respect to your first  
9 question, we're really -- we are intending -- our main  
10 analysis is going to be before and after for all the kids,  
11 and not that the -- so that second week where we have the  
12 additional stand-alone filtration, that will be sort of  
13 like a little mini intervention nested within our major --  
14 within our study.

15 So the major analysis is going to focus on before  
16 and after measurements, before school and after school, so  
17 the kids can act as their own controls.

18 PANEL MEMBER QUINTANA: But, I mean, when I have  
19 the same kids, the kids get the -- don't get the  
20 intervention and they did get the intervention, right, is  
21 that what you're saying?

22 MS. HURLEY: Well, every -- well, the  
23 intervention may not be the best word to use here. So  
24 the -- during the first week --

25 PANEL MEMBER QUINTANA: Yeah.

1 MS. HURLEY: -- actually all the kids will be in  
2 classrooms with the MERV 16 already installed. And so  
3 what we're measuring is -- or what we're evaluating is  
4 does -- you know, with our biomarkers, do exposures go  
5 down after kids have been at school for a day breathing  
6 the filtered air? So just do their overall exposures go  
7 down? And then during that second week we just have this  
8 little add-on where one of the groups has the additional  
9 stand-alone air filtration.

10 So in that part we will also be doing before and  
11 after, but we will be comparing the before and after in  
12 the kids who only have MERV 16 filtration to the group  
13 that has MERV filtration with the additional stand-alone.  
14 So there will be, you know, sort of two level -- two  
15 different analyses that will be going on there. Does that  
16 make sense a little bit?

17 PANEL MEMBER QUINTANA: It does. I guess -- I  
18 guess I'm just -- I'm a little confused. I guess, I'm  
19 thinking of schools in San Diego that surround me are very  
20 old temporary buildings. They don't have air conditioning  
21 a lot of them. And maybe that's not true in the Central  
22 Valley, because it's so hot, you have to have air  
23 conditioning, but -- and so they weren't -- they don't  
24 have -- a lot of them don't have good systems. They could  
25 even retrofit, but I -- is this school typical of a

1 school? Do they usually have the MERV 16 or -- I guess to  
2 me -- I guess to me, you don't have a comparison group of  
3 a school that didn't have it, this filtration. I kind of  
4 worry that you're just going to have this -- I'm not sure  
5 what you're measuring exactly. They go to school and they  
6 breath filtered air. And it's probably a very low  
7 particulate at least, and maybe not as low for the VOCs  
8 for the reasons they said earlier.

9 MS. HURLEY: Yeah.

10 PANEL MEMBER QUINTANA: And then -- and then  
11 you're going to have an even lower, hopefully, for the VOC  
12 part with the air filtration. But I guess I'm not sure --  
13 so in my mind I would think, oh, you're -- it would be  
14 nice to look at the effect of the MERV 16, but you're  
15 really not, right?

16 MS. HURLEY: Well, what we're looking -- I mean,  
17 yes, we can't do a -- we can't -- our results will answer  
18 the question does being at school breathing filtered air  
19 reduce overall exposures to, say for instance, PAHs,  
20 right?

21 We -- I mean, yes, there could be confounding by  
22 other things that are different from them being at school  
23 versus, you know, being somewhere else. But I actually  
24 thought you said it nicely earlier this morning when you  
25 said, well, you know, when you're arguing that maybe we

1 shouldn't be looking at -- be trying to control diet, you  
2 know, or advise them on their dietary choices, because  
3 really what we're trying to get at is, is this -- the  
4 filtered air at school, does that actually reduce the  
5 overall kids' exposure?

6           You know, it would be nice to have a control  
7 group. If we had, you know, a ton of money, then, you  
8 know, we could have a control group in another location.  
9 Although there's always problems with then finding an  
10 appropriate control group that really doesn't have other  
11 issues where that group is different, and, you know,  
12 there's a lot of confounding there, so...

13           PANEL MEMBER QUINTANA: So if you're taking a  
14 sample before school --

15           MS. HURLEY: Yeah.

16           PANEL MEMBER QUINTANA: -- and then after school,  
17 let's say --

18           MS. HURLEY: Right.

19           PANEL MEMBER QUINTANA: Let's say it's eight --  
20 let's say it's an eight-hour period.

21           MS. HURLEY: Yeah

22           PANEL MEMBER QUINTANA: Then you're really  
23 looking at -- I'm using that same reasoning, you're  
24 looking at the exposures eight hours prior to arriving at  
25 school. I mean, you're looking that eight-hour window.

1 You're measuring the before presumably reflecting the  
2 eight hours --

3 MS. HURLEY: Right. Right.

4 PANEL MEMBER QUINTANA: -- and then you're  
5 measuring again eight hours, right?

6 MS. HURLEY: Right.

7 PANEL MEMBER QUINTANA: So you're kind of  
8 measuring what they're exposed to between midnight and  
9 eight or --

10 MS. HURLEY: Right, outside of school versus  
11 inside school.

12 PANEL MEMBER QUINTANA: Yeah, but more  
13 specifically --

14 MS. HURLEY: Yes.

15 PANEL MEMBER QUINTANA: -- you know, within a  
16 short window of middle of the night to early morning,  
17 right?

18 MS. HURLEY: Yeah. Yeah

19 PANEL MEMBER QUINTANA: Unless you look at --  
20 it's possible like you see in the workplace that people's  
21 levels might go down over the week, you know. I mean,  
22 because they have --

23 MS. HURLEY: Yes, a cumulative --

24 PANEL MEMBER QUINTANA: Right, if it has a  
25 slightly longer half-life. Yeah, it might have a

1 cumulative effect.

2 MS. HURLEY: Yeah.

3 PANEL MEMBER QUINTANA: I just -- I mean, I was  
4 thinking of that relative to your questionnaire you kind  
5 of want to know like what happens that morning, I guess,  
6 you know, like how they got to school and did they --

7 MS. HURLEY: Right.

8 PANEL MEMBER QUINTANA: -- get a ride in a diesel  
9 truck or --

10 MS. HURLEY: Right.

11 PANEL MEMBER QUINTANA: -- did they walk to  
12 school next to a busy road?

13 MS. HURLEY: Yes.

14 PANEL MEMBER QUINTANA: You know, I'm just  
15 thinking of that specifically. And I think you're right,  
16 the timing is difficult. And I was disappointed to see  
17 you weren't measuring diesel biomarkers specifically, like  
18 1-nitropyrene metabolites, but I assume that's because the  
19 half-life is so long that you wouldn't expect to wash out  
20 really through the week I'm assuming is what -- why you  
21 didn't choose --

22 MS. HOOVER: I'll respond to that. No. It would  
23 totally be possible in terms of half-life, at least our  
24 understanding of 1-NP half-life. It's just feasibility of  
25 that particular analysis. It turned out to be technically



1 very difficult. And the particular situation with the  
2 lab, we just couldn't do that again. For example, it  
3 takes a hundred mls of sample to do 1-NP. So, yeah, it  
4 takes a lot of.... And it's very, very (inaudible)  
5 levels.

6 Sorry. Go ahead, Jenny. You wanted to chime in  
7 with something.

8 PANEL MEMBER QUINTANA: Urine is some -- urine is  
9 something, especially with older kids, you can get a  
10 hundred ml, but I thought Asa did it on 30 or something,  
11 30 ml for --

12 MS. HOOVER: We could -- Well, ideally you have a  
13 large volume collection, so there's that issue, but there  
14 was just other technical issues with that method,  
15 including the fact that the levels are so extremely low  
16 that it just posed a lot of feasibility issues, so -- and  
17 we had to go with -- also the nature of the standard  
18 agreement is, you know, the best option for us is to work  
19 with UC. So just for a whole bunch of reasons. And,  
20 yeah, limited funding, and all the rest we settled on  
21 this.

22 We also do have, you know, in our EBDEP study we  
23 have pyrene results, which we're going to be looking at  
24 correlations between the pyrene results and the 1-NP. So  
25 we'll have some information to illuminate that. But,

1 yeah, ideally, we would have a additional biomarker  
2 specific -- more specific to diesel within the panel, but  
3 we just weren't able to do that.

4 PANEL MEMBER QUINTANA: Okay. So maybe I'll  
5 quickly just give you my list, because I don't want to  
6 take up too much time, but -- so I guess in terms of the  
7 questions, I would definitely talk about commute to the  
8 school, how they got there would be quite important. And  
9 even if you can, like if it's a diesel vehicle or not or  
10 something specific like that, or diesel school bus. I'm  
11 not sure how far the kids come, but I think -- and when  
12 they came to school. I know a lot of kids get dropped off  
13 early for pre -- for daycare before school starts, at  
14 least in our community.

15 I would ask, of course, not just do you have  
16 smoking that you're asking about, but also -- sorry --  
17 cannabis smoking. Obviously, it would contribute to PAHs.  
18 And vaping, because that would help you interpret the  
19 cotinine vaping of nicotine in the home and in the car,  
20 especially as well.

21 And then I think that one thing you talked about  
22 fires being a big problem for your big week. But I think  
23 what's really going to be a problem is rain in November,  
24 you know, because during rain episodes here -- and I  
25 really apologize for my dog. It's just out of reach. I

1 can't get it. During rain episodes, at least in San  
2 Diego, it's much less polluted. Typically, I know that  
3 sometimes you're offset by people heating in the air, you  
4 know, or burning stuff, but that wouldn't be as  
5 representative if you had rain for five days as if you  
6 didn't. So I think -- to me, I think that's what you  
7 should be planning for.

8 Wildfires are -- would be great in a sense. If  
9 they happen, you have some real interesting data. And I  
10 think you should ask for a supplement from CARB or  
11 something to -- even if wildfires happen before you're  
12 going to go out there just -- or even after you went, do  
13 it again quickly. Just be ready to roll. It's an unusual  
14 opportunity, you know, basically.

15 And then my last bit of laundry list is that have  
16 you thought about other measures that maybe you don't have  
17 to -- other measures in the study, and specifically  
18 exhaled nitric oxide. And I don't know much about that,  
19 except what I've read in studies that has the advantage in  
20 schools that you could just do it right there. You don't  
21 have to collect a sample. And the correlation with that  
22 and other markers that you're collecting might be quite  
23 interesting, because it would be more easy for community  
24 groups to use that particular measure.

25 And then the other thing was possibly having the

1 kids wear silicone wristbands, because they're pretty  
2 cheap to make and deploy. They're expensive to analyze,  
3 but you could just collect them. And I've got so many  
4 studies that I've done where I wish I had collected  
5 certain samples. I wish I had, you know, collected dust,  
6 or I wish I had -- whatever. So I just -- just be  
7 thinking about what else maybe like silicone wristbands  
8 you could deploy and archive, you know, depending on what  
9 you have.

10           And I think in terms of dietary questions, again  
11 I do feel strongly that you shouldn't play with their  
12 diet, if that's -- it's supposed to be a real field study.  
13 And what real reduction that you get, it has to -- it  
14 should be just what it is, you know.

15           And it might be difficult to get results back,  
16 like to kids with smoking parents, or smoking cannabis, or  
17 whatever. But from a public health point of view, it's an  
18 opportunity to educate people about exposures besides what  
19 you intended to measure, you know, that are important,  
20 that -- but in terms of Veena's comment about how to  
21 phrase results return, you know, I do think that comparing  
22 things to a known exposure like tobacco -- like kids  
23 living with a smoker have this much elevation in there  
24 oxidative markers. Something like that is -- people can  
25 kind of relate to that exposure, or kids exposed to a

1 wildfire -- it's a couple wildfire studies, you know, had  
2 this much elevation. You could kind of compare it, the  
3 oxidative damage to some other known exposures, you know,  
4 that are worse basically, you know, that are very intense  
5 might be a way to go, because people have an intuitive  
6 understanding of that.

7           Thank you for all the time and this exciting  
8 study.

9           CHAIRPERSON SCHWARZMAN: Thank you for those,  
10 Jenny. Susan -- so, Tom, I see you have a question. We  
11 have someone in the audience who has a question. But  
12 first, I just wanted to ask Susan if you have any thoughts  
13 about Jenny's suggestion about silicone wristbands and the  
14 possibility of collecting them, even if you're not able to  
15 analyze them at this time. I think that's a complicated  
16 issue in and of itself, but it's -- maybe this is  
17 something you've already considered or there's some  
18 parameters that wouldn't..... it. But I wonder if you  
19 have thoughts about it now. It strikes me as if -- if you  
20 could analyze it some day at least, it's an interesting --  
21 it would provide context for the biomarkers of exposure  
22 that you are measuring and you're (inaudible). And I'd  
23 just be curious for your thoughts about it.

24           MS. HURLEY: Well, I can say that early on in our  
25 planning stages, we did discuss the possibility of

1 actually using the inhaled or exhaled nitric oxide measure  
2 as well as silicone wristbands. And I'm not sure on the  
3 wristbands where we landed on that. I mean, I know we  
4 ultimately didn't -- or aren't currently considering it.  
5 But Sara, I don't know if you have any comments as to...

6 MS. HOOVER: I -- well, yeah. Basically, in our  
7 studies, we've just done blood and urine and we wanted to  
8 stick with urine for this study. That's the main reason.  
9 But I wonder, Jenny, if you'd say why you think the  
10 silicone wristbands would be helpful. I mean, the data  
11 that I've seen, I'm not so sure, you know, that some --  
12 I'm curious of your perspective of why you think it would  
13 be useful for this study?

14 PANEL MEMBER QUINTANA: Well, one -- one question  
15 is how much they're getting at home versus at the school?  
16 And it's something that they could wear one overnight and  
17 then at school exchange it for another they wear during  
18 school. And so you might have a comparison, so PAHs for  
19 example, of the two environments I was thinking, just as a  
20 way to collect data without a lot of difficulty, I guess,  
21 because they're so simple. So comparing the  
22 microenvironments, I guess I was thinking it's a  
23 possibility. And I'm not living or dying by this. I'm  
24 just suggesting it, because it's --

25 MS. HOOVER: No.

1 PANEL MEMBER QUINTANA: -- just something that I  
2 had wish I had done in the previous studies.

3 MS. HOOVER: Yeah, I don't know that much about  
4 them. I haven't -- yeah. I haven't looked deeply into  
5 them, but I'm just curious about, you know, just accuracy  
6 and use for PAHs. I don't know if you have any  
7 information on that. I mean --

8 PANEL MEMBER QUINTANA: I just (inaudible)  
9 article for PAHs, so I can send that.

10 MS. HOOVER: Okay.

11 PANEL MEMBER QUINTANA: It just got accepted.  
12 It's not out in the press.

13 MS. HOOVER: Okay.

14 PANEL MEMBER QUINTANA: But a couple days now, it  
15 should be out in press.

16 MS. HOOVER: Okay. Cool. So we will -- yeah,  
17 we'll just -- we'll add that to our list of things to  
18 consider. I also want to chime in and say definitely  
19 rain, we're very well aware of the rain issue. We didn't  
20 highlight rain, partially because the Panel had previously  
21 highlighted wildfires, so we wanted to acknowledge that.

22 But we experienced that in the East Bay Diesel  
23 Exposure Project, like we could not change our sampling  
24 day, and sometimes we had to sample in rain. And, no, we  
25 don't want to do that.

1           So we'll be trying to make -- you know, plan for  
2   that as we settle on the exact days that we'll be out  
3   working. So, yeah, we know it's sort of -- and with  
4   Betsey Noth, you know, we've had that conversation. It  
5   wouldn't be wise to do it, if it's pouring rain.

6           I think the rain fall is actually -- we're trying  
7   to pick the bad -- you know, bad air quality period, sort  
8   of October -- late October, early November. Yeah, so  
9   we're partially going to have to play that by ear, but we  
10   are aware of it.

11           CHAIRPERSON SCHWARZMAN: Great. Thank you for  
12   that. I want to ask Shoba to let us know who -- because  
13   there is someone who had had their hand up from well  
14   before, and then Tom.

15           DR. IYER: Yeah. June-Soo Park, I see you've got  
16   your hand up. I'm going to unmute you now. So now you  
17   can unmute yourself and share your question or comment.

18           June-Soo, are you there?

19           DR. PARK: Yeah, but I never -- the raised hand,  
20   I think is -- sorry about that.

21           DR. IYER: We can hear you. Go ahead.

22           DR. PARK: Yeah. No, no. I didn't. I didn't  
23   raise my hand to ask a question. Yeah.

24           DR. IYER: Okay.

25           CHAIRPERSON SCHWARZMAN: All right. In that



1 case, Tom, what did you have?

2 PANEL MEMBER MCKONE: All right. Well, just one.  
3 I know we've talked a lot about the filtering and the  
4 indoor and outdoor. But one thing -- you know, we talk  
5 about smokers, but the other thing is cooking and how  
6 people cook. And so -- this is not a formal experiment,  
7 but for two years I -- two years ago, I bought air  
8 monitors and I had one indoors and outdoors. And I won't  
9 advertise a certain company, but in the neighborhood I  
10 live in, they have a coverage of about 200 households.  
11 And I always like to look at this every so often.

12 And what's really interesting is like during the  
13 fires, I particularly watched, because we have a whole  
14 house MERV 13, and the reduction is phenomenal in what we  
15 get. But that has to do with like the conditions of the  
16 house and how careful we are. But one of the things  
17 that -- when I looked, one of the things I -- normally,  
18 the indoor levels -- so this company, which I don't know  
19 if we can mention them, right? They're so common,  
20 PurpleAir, right, because it's so standard.

21 But one of the things they do is they mark indoor  
22 air. They mark monitors as being indoors or outdoors and  
23 they have a dark circle if they're indoors. So if you  
24 look at the map -- and I tend to do this almost every day  
25 at different times. If you look at the map, most of the

1 time like 90 percent of the time, the indoor levels are  
2 below the outdoor levels. And I don't even know, this is  
3 just something we know that there's a reduction due to the  
4 envelope of the building.

5 In the evening, I see some of the highest indoor  
6 concentrations, I mean, up at the levels that are  
7 hazardous on the air pollution scale, 150, 180, EPA air  
8 quality index, which means the air quality inside these  
9 homes is as bad as it was in some of the fire communities.  
10 And it's like three or four households in this area. And  
11 I think what are they doing? I mean, this is not smoking.  
12 This is cooking and cooking -- so anyone who cooks with  
13 oils and doesn't use -- I learned this from my air quality  
14 work. It's like you can talk to Wayne Ott and he will  
15 give you reams of information and -- about how the best  
16 way -- if you want to generate fine particles indoors,  
17 take a pan, put oil on it, and fry food, because it's just  
18 a massive fine particle generator, particularly if you  
19 don't have ventilation. And I'm just saying, I mean, this  
20 is -- this is kind of anecdotally observed, but it's also  
21 been measured.

22 So what I worry about is if there are households  
23 in your study that are frying foods or using some sort of  
24 frying, they're going to get these huge two-, three-hour  
25 exposures during the evening. And I worry that that may

1 be so high that, you know, in the integrated daily  
2 exposure, there would be significant reduction in the  
3 school.

4           So I guess, you know, the thing is if you knew --  
5 if you -- you can't sample all the households. But if  
6 there's someway to learn a little bit more about what  
7 happens at home, you could understand some people who  
8 don't line up with the school. I mean, the school  
9 levels -- you know, based on what I've seen from my own  
10 filtering system, a MERV 16 is just going to -- unless  
11 they leave windows open or anything, a MERV 16 on a  
12 furnace system in a relatively new HVAC system is going to  
13 drop the indoor levels phenomenally, particularly in  
14 wildfires. They're just going to be way down.

15           So, there's this question about at home beyond  
16 smoking. I mean, you can ask them if there's a smoker in  
17 the house. I suppose you could ask them how they cook  
18 food, but I don't know if that's going to tease out this  
19 huge peak that you're going to get from households that  
20 are frying food.

21           CHAIRPERSON SCHWARZMAN: Susan, I notice that on  
22 the list of questions you had about an exhaust fan, you  
23 had indoor fuel use. But what you're talking about, Tom,  
24 I think is sort of agnostic with regard to the source of  
25 the heat. You know, if you're frying oil, it could be

1 with natural gas or it could be with electricity and  
2 you're still going to be generating the particulate matter  
3 and that what matters more at that point is filtration is  
4 the -- I mean, is -- I'm mean, not filtration, but  
5 ventilation from an exhaust fan say. And Susan, I saw  
6 that on the list of questionnaire questions. So the  
7 follow-up question that I have is just, Tom, if you could  
8 choose what you would ask families to try to get at that,  
9 what would you do?

10 PANEL MEMBER MCKONE: I think you could ask --  
11 you could ask diet questions. I mean -- you know, I mean,  
12 what it is is it's -- people are -- you know, you could  
13 ask them how they prepare their food. And particularly, I  
14 mean, in some households this is breads, or tortillas, or  
15 things like that. People really like to fry them up or it  
16 could be fried potatoes. But you've got -- I mean, I  
17 think the question about frying is pretty important,  
18 because again this is my observation, but there's papers  
19 that have been written by this, Lance Wallace, who did a  
20 fairly systematic study on different kinds of frying. And  
21 he said actually -- you know, he measured it in different  
22 households. His own was one of the worst, because he said  
23 we just love -- we love making fried potatoes, and fried  
24 tortillas, and things like that. And he said, he just  
25 couldn't believe how much they generated in terms of fine

1 particles.

2           And, of course, he's breathing it. But I mean,  
3 it's fascinating, because he's like -- he's a very  
4 well-renowned indoor air quality person. He said it's  
5 so -- it's short term. I mean, it's going to be during  
6 the cooking period, but the levels go way up.

7           And then so it's two questions. It's really do  
8 they -- you know, how do they prepare food? How  
9 frequently do they fry it? And, I mean, baking isn't as  
10 big a problem. Well, ovens can -- I mean, an unvented  
11 oven is also going to be an issue too. You know, it's  
12 kind of what were you baking. But the big question is how  
13 well ventilated? Do they have a vent fan over their  
14 stove? It makes a huge difference.

15           CHAIRPERSON SCHWARZMAN: Stephanie, did you have  
16 a point on that? And then I see Veena and Ulrike.

17           MS. JARMUL: I'm a bit late. This is actually  
18 more to chime in on what Jenny was talking about with the  
19 kids potentially wearing the wristbands or collecting  
20 samples from them at the school. And I just wanted to  
21 mention that we've worked pretty hard to ensure the  
22 confidentiality of the students at school, and that  
23 includes actually not collecting urine samples from them  
24 at the school. We had quite a few conversations around  
25 that.

1           So I think that is probably one of the main  
2 reasons we chose not to do the wristbands, since that  
3 would identify the students in the study at school.

4           PANEL MEMBER QUINTANA: I mean, you probably  
5 thought about this, but you could give them to all the  
6 kids in the classes, all the classes. Hand them out. It  
7 helps, but I think that there are some validated cooking  
8 questionnaires. Sorry, Meg, to not -- to usurp your right  
9 to tell me to speak or not. Sorry.

10          CHAIRPERSON SCHWARZMAN: Go ahead.

11          PANEL MEMBER QUINTANA: But I just wanted to  
12 answer about the -- there are some validated questions for  
13 cooking behaviors, so you don't have to make -- reinvent  
14 the wheel. Some of the children studies have already  
15 asked those kind of questions. I just want to say that.

16          Thank you.

17          CHAIRPERSON SCHWARZMAN: Veena.

18          PANEL MEMBER SINGLA: Thank you. Yes. Jenny's  
19 last comment I was -- I was going to say the same thing  
20 and -- because it's also -- it's not just you have the  
21 stove fan, but do you use it? This is important as well.

22          And my other comment is it's a little bit off  
23 topic, but just wanted to say, you know, I just really  
24 appreciate hearing from the community partner on this  
25 study earlier in the meeting. And, you know, thinking

1 forward, yeah, I'm really excited about this study and the  
2 results. And I think it would be really great to have the  
3 community partner come back to the Panel to present up on  
4 the community perspective. Post-study I would love to see  
5 that and think about lessons -- you know, lessons learned  
6 to inform future studies.

7 MS. HURLEY: That's great idea.

8 CHAIRPERSON SCHWARZMAN: I second that.

9 Ulrike, you had something.

10 Oh, you're still muted.

11 PANEL MEMBER LUDERER: Sorry about that. Thank  
12 you.

13 I was going to say, first of all, that I third  
14 that.

15 (Laughter.)

16 PANEL MEMBER LUDERER: And then next that, you  
17 know, just with the -- with the cooking question, I mean,  
18 I think we've already talked about it a lot, but just  
19 to -- I think it does -- it really has to be during the  
20 prior day. So it doesn't have to be, you know, how do  
21 they cook in general, but it's probably easier to answer  
22 more specific questions, you know, like how did you cook  
23 last night. So that was really the main comment I had  
24 about that.

25 CHAIRPERSON SCHWARZMAN: That gets -- thank you

1 for that, Ulrike, because that gets to one of the  
2 questions on Susan's list, which is about timing for  
3 administration of the survey. And I'm sure this is a  
4 really tricky issue, because probably the timeline for  
5 the -- for administration of the survey is going to differ  
6 for the different questions, like the ideal timing is  
7 going to differ for the different questions. But I think  
8 maybe it would be helpful to put out a little bit of  
9 that -- those thoughts now to throw them into the mix.  
10 Like you're saying for cooking, you really just want to  
11 know about what happened the night before the urine test.

12 What are other timing questions that would be  
13 helpful to have input to throw into the mix? And Susan,  
14 if you have a specific question also feel free to just  
15 chime in. I see Jenny has an idea.

16 PANEL MEMBER QUINTANA: I was thinking more again  
17 about transportation and maybe how they got to school, but  
18 also do they drive a lot for games or who knows what  
19 they're playing, you know. And then just if it is  
20 ambient -- I mean, outdoor air pollution, then sports  
21 activities outside would be very important or our time  
22 outside basically, how much time do they spend outside the  
23 day before or the evening before after school? Did they  
24 have an outside, you know, Little League softball  
25 practice, you know, outside. Because if they're running



1 around outside, they're going to have a big dose to their  
2 body, you know. And that would be different than someone  
3 that went home to an air conditioned house and didn't go  
4 outside, you know. So you may wish to ask that.

5 But I'm trying to think of the operational  
6 aspects of ask -- are you going to ask them every day, or  
7 ask the parent every morning, or ask the parent when you  
8 pick it up, like just how do operationally do this without  
9 being super annoying, are you going to text them a  
10 questionnaire?

11 MS. HURLEY: Yeah. So the way that's going to  
12 work is when they -- on each sampling day when they return  
13 their urine samples to us, we're going to give them the  
14 link to the questionnaire or a paper copy, if they prefer  
15 that. And so there will be two questionnaires, one on the  
16 first sampling day, one on the second sampling day.

17 And then we're trying to design the questionnaire  
18 to capture -- you know, word it so that it captures the  
19 relevant time period. And we've been kind of struggling  
20 with that. For the biomarkers of PAHs and VOCs, we have  
21 at least a pretty good idea of what the half-lives are, so  
22 we know, you know, we want the last 24 to maybe 36 hours.  
23 So the way we've worded it or our current version -- we're  
24 obviously just playing with this still, but we actually  
25 have some of the wording in front of me. We ask -- so for

1 things that we think affect the air quality, right,  
2 because there's going to be different time periods  
3 depending on the category of questions.

4 But the ones that we think are relevant to  
5 affecting their air exposures, we're asking about the past  
6 two days, so activities -- you know, whether it's cooking,  
7 or walking to school, or, you know, being outside, all of  
8 that is over the last two days. And then we were thinking  
9 of saying something like the last two days refers to the  
10 day before you collected your child's urine sample and  
11 also the day that you collected your sam -- their sample,  
12 but we don't want any information that happened after they  
13 collected, you know, their second sample. Because they  
14 might not fill out the questionnaire right away, we don't  
15 want to hear that they, you know, went and played sports  
16 after school that day. So that's -- that's the way we're  
17 thinking of wording it.

18 For the biomarkers of oxidative stress and  
19 inflammation, we've got other issues around timing, which  
20 I don't know if any of our guest speakers have any input  
21 on this. But, you know, for some of the health conditions  
22 or the medication use, you know, we're not really sure  
23 what's the most relevant time window. Is it the last  
24 couple days or is it more like the last week? So, you  
25 know, we're still researching that. But if anyone has

1 ideas on that, we would love to hear them.

2 PANEL MEMBER QUINTANA: But maybe I'm mistaken, I  
3 thought you were talking morning and later that day for  
4 more than one day in a row or is it once?

5 MS. HURLEY: Well, it's not in a row. It will be  
6 the -- yeah.

7 PANEL MEMBER QUINTANA: But, I mean, is it day  
8 one, and day two, and day three so -- or is it only -- do  
9 they only participate once? I think I'm mixed up.

10 MS. HURLEY: Okay. They participate the first  
11 week -- in the first week, we're going to have one  
12 sampling day. It may not all be the same day for all  
13 kids, because we logistically may not be able to do -- to  
14 get all the samples, you know, on a Monday or whatever.

15 PANEL MEMBER QUINTANA: There's only one before  
16 and after in the first week.

17 MS. HURLEY: In the first --

18 PANEL MEMBER QUINTANA: I think I thought -- I  
19 thought it was -- I thought it was every day like --

20 MS. HURLEY: Oh, yeah. No. No. No.

21 PANEL MEMBER QUINTANA: -- like you were giving  
22 them -- okay.

23 MS. HURLEY: Yeah.

24 PANEL MEMBER QUINTANA: But I was mixed up.  
25 Okay.

1 MS. HURLEY: Right. And then the second day  
2 won't be like back to back -- it won't be consecutive  
3 days. So the second sampling day will be the following  
4 week, so...

5 PANEL MEMBER QUINTANA: Okay. Okay.

6 MS. HURLEY: Yeah.

7 PANEL MEMBER QUINTANA: All right. That makes  
8 sense, because you're asking about two days prior. And  
9 I'm like wait, if you do it every day, that doesn't make  
10 sense.

11 MS. HURLEY: Yeah. Yeah. It won't spill over --  
12 it won't, yeah, overlap. Right.

13 PANEL MEMBER QUINTANA: (Inaudible). Sorry.

14 MS. HOOVER: Sorry. Go ahead, Jenny.

15 PANEL MEMBER QUINTANA: I was just going to --  
16 from our own studies, which are mostly tobacco related,  
17 you usually try to ask questions that are general like  
18 does your kid use asthma medication or whatever? And then  
19 if you're doing the daily sampling, just the ones that  
20 might change. What did -- what did you have last night to  
21 eat. Did you grill or fry? Did you have a sports --

22 MS. HURLEY: Right.

23 PANEL MEMBER QUINTANA: You know, so just it's  
24 very short, so you don't have data loss, because it's  
25 already hard to juggle kids, school, and stuff, you know,

1     like --

2                 MS. HURLEY:   Yeah.

3                 (Laughter.)

4                 MS. HOOVER:   And I was just going to chime in  
5     that the reason we talk about weeks in the study is  
6     because the air sampling and monitoring will occur  
7     throughout the week.   So we will be collecting the air  
8     data throughout each week, but we can only do  
9     biomonitoring on one day per week.   So we've been working  
10    on trying to message that clearly, but obviously it wasn't  
11    completely clear.

12                I also did want to mention to Tom, yeah, it's  
13    completely fine to talk about PurpleAir.   It was on  
14    Susan's slide, we're buying PurpleAir.   So, yeah,  
15    we're taking advantage of that -- of those.

16                CHAIRPERSON SCHWARZMAN:   I have a note that Ryan  
17    Allen has a question.   So go ahead and turn on your webcam  
18    and unmute yourself.   And then I see Veena is up next.

19                DR. ALLEN:   Okay.   Yeah, I have one kind of  
20    question and then one kind of comment.   The comment is in  
21    terms of collecting this information about diet and  
22    medications, I'm wondering if there's any opportunity to  
23    collect it prospectively rather than retrospectively,  
24    because in my experience people are pretty bad at  
25    remembering what has happened.

1           But I'm wondering if maybe a few days before, you  
2 could give the caregiver, you know, a little -- a little  
3 grid to hang on the refrigerator or whatever that says  
4 just jot down, you know, what medications. Because in my  
5 experience, when you sort of give it to them at the outset  
6 and ask them to do it prospectively, you get better  
7 information than being like what happened last Wednesday.  
8 They're always -- not always so good at remembering. So I  
9 don't know if that's feasible, but it's just a -- just a  
10 thought.

11           And then my quest -- I don't know if it's a  
12 question or comment, but I was sitting here trying to  
13 think both other kind of -- other exposures, not  
14 necessarily environmental exposures that might influence  
15 some of these biomarkers. And this is not my area of  
16 expertise, so I know just enough to be sort of dangerous  
17 here. But I know at least -- I know at least chronically  
18 that stress can be inflammatory. I don't know about more  
19 acute stress. But for some kids, school may be a  
20 stressful environment, you know, particularly if you get  
21 sent to the principal's office or something. So you could  
22 have this -- you could theoretically have a situation  
23 where the school air is beneficial, but there's something  
24 else about the school environment that is harmful, in  
25 terms of stress. And so you don't actually see any

1 change, because those two effects counteract each other.

2           So I know for -- in some of our studies for  
3 adults, we've used sort of pretty well validated measures  
4 of self-reported stress or perceived stress. That's  
5 probably a lot more tricky to do with a child. And I also  
6 don't know how well it would work for sort of more acute  
7 stress. But anyway, just a -- just a thought, if you  
8 haven't thought about it, you may want to look into sort  
9 of the acute inflammatory and oxidative effects of stress  
10 and see if there's any way you can account for that or if  
11 you even need to account for that.

12           MS. HURLEY: Yeah. That's an interesting point.  
13 Stress wasn't actually on our radar, so we will look into  
14 that. I do know I've -- I have done some stress research,  
15 but looking at more sort of chronic levels. And I do know  
16 a lot of the -- there's are a lot of validated  
17 questionnaires out there. But again, I think they're  
18 mostly focused on adults and they can be fairly long, but  
19 it's a point well taken. I think we should definitely  
20 look into that.

21           MS. HOOVER: Meg, can I just respond to one thing  
22 from Ryan?

23           Just to clarify, Ryan, we're not doing long  
24 recall. We're doing the questionnaire the actual night of  
25 the sampling. So they immediately answer questions about

1 what just happened and then we do another questionnaire  
2 the following week. So they're not -- they don't have to  
3 think back a week ago what happened. It's like literally  
4 the day before. But I understand -- you know, I  
5 understand your idea of hanging up a grid to make sure you  
6 write it down and you don't forget. We did -- you know,  
7 we had an activity diary and those sorts of tools for our  
8 East Bay Diesel Exposure Project. So we could think about  
9 like a refrigerator reminder, because there are certain  
10 reminders, like reminding them, you know, to collect your  
11 child's first morning void, to have your child tell you,  
12 hey, I need to pee, this kind of thing, so we can have a  
13 set of reminders. So that's a good idea.

14 CHAIRPERSON SCHWARZMAN: I really appreciate that  
15 suggestion just thinking about it as a parent, not at all  
16 in my -- from a scientific perspective of like I will  
17 completely forget that something happened, unless somebody  
18 says please note if, you know, there was an incident at  
19 home or school in the last 24 hours. You know, we'll be  
20 asking you about that or whatever the questions are.  
21 Please note, these are the things we're going to ask you  
22 about. Track them, you know, in the 48 hours before you  
23 collect the sample, or whatever, if it's a grid that goes  
24 on the fridge or whatever.

25 Just as a human and a parent, that kind of



1 advanced notification of what I'm supposed to be paying  
2 attention to I find enormously helpful and of one.

3 Veena.

4 PANEL MEMBER SINGLA: Thank you. I agree with  
5 that. I can't remember anything, so -- and I'm not even a  
6 parent.

7 (Laughter.)

8 PANEL MEMBER SINGLA: Well, you know the stress  
9 comment made me think about masks and you're probably  
10 thinking about this already, but just who knows what the  
11 mask situation is going to be at the time you do our  
12 study, but -- and especially if there might be wildfires,  
13 it would probably be good to collect information on  
14 masking. I don't -- I don't -- I just have no idea if any  
15 of the kids might be wearing N-95 type masks, but it  
16 would -- it would probably -- you'd probably want to know  
17 if that is the case.

18 And my other comment is on the sort of question  
19 of, you know, reporting back on things that happen within  
20 a certain time. I think a visual depiction could be  
21 really helpful in addition to the verbal instructions of  
22 just like, you know, these calendar dates up to this time.  
23 It can be really helpful for people to see something  
24 visually.

25 MS. HURLEY: I think that's an excellent idea,

1 because we've been struggling with like how to word it.  
2 It's so cumbersome. So to have just like a simple  
3 picture, I think it's -- it would really help.

4 CHAIRPERSON SCHWARZMAN: I think Ulrike had  
5 something and then I see Jenny. And then what I'll do is  
6 put the slides back up that Susan showed and kind of go  
7 through for our last 10 minutes and see if there's things  
8 we've missed commenting on.

9 PANEL MEMBER LUDERER: Yeah, I think Susan had  
10 asked about the -- like the half-life of isoprostane and  
11 the 8OHdG. And from what I understand they're pretty  
12 short. So like in the blood, they could be, you know,  
13 less than 15 to 30 minutes or something like that, on that  
14 order, or maybe a bit longer in the urine, but relatively  
15 short.

16 CHAIRPERSON SCHWARZMAN: Jenny.

17 PANEL MEMBER QUINTANA: I think one of your  
18 questions is the timing of the collection. So we didn't  
19 really answer that for the urine. And I do want to talk  
20 about recess again, because I do think that if people --

21 (Phone ringing)

22 PANEL MEMBER QUINTANA: Sorry -- if kids are  
23 running around either at recess, or at lunch, or right  
24 after school, that's going to be an exposure source, you  
25 know, to outside air at very high breathing rates, you

1 know, that's going to be an issue. So I'd almost rather  
2 see them -- I mean, depending on the half-life that Ulrike  
3 was saying, I remember there was a study by, was it,  
4 Sarnat that did the community in Atlanta study, where they  
5 took a blood sample, and then they drove around in  
6 traffic, and then two hours later took another one. And  
7 they could see, you know, increases in these inflammation  
8 markers. I forget what now, like IL-6 and something else.

9 And, you know, so I think that there -- I'd  
10 almost rather see collection -- and I'm sure that it  
11 couldn't take place at school, or near school, or during  
12 lunch, or even like some period of time where they're  
13 actually not exposed to outside air running around, you  
14 might be better off, rather than having -- like a lot of  
15 schools for younger kids, they get out and then they stay  
16 at school for a while playing on the playground with their  
17 friends and then they go home.

18 You know, I think as they get older, they quit  
19 doing that. They just hang around in groups. But, you  
20 know --

21 (Laughter.)

22 PANEL MEMBER QUINTANA: -- but you know what I  
23 mean, I just feel like that's going to be a real source of  
24 confounding if -- as you will, but -- so I almost would  
25 like to see a shorter -- a shorter thing. And the other

1 quick question -- comment is that we've had good luck with  
2 text reminders, so --

3 MS. HURLEY: Um-hmm.

4 PANEL MEMBER QUINTANA: You know, like, what time  
5 do you get up? 6:15. Fine, here's a text at 6:15,  
6 remember to get your kid's urine.

7 (Laughter.)

8 PANEL MEMBER QUINTANA: And it -- I mean, we  
9 can -- you can automate them and people really like that.  
10 They like text reminders. They like everything by text.  
11 They don't like paper stuff any more. That's our  
12 experience.

13 CHAIRPERSON SCHWARZMAN: I need to just make sure  
14 that I'm checking in with Shoba. Can you let me know if  
15 there's any -- anyone who's queued up to speak and also  
16 we're going to -- formal call for public comment on this  
17 segment. So I want to break for sec to do those and then  
18 show the slide.

19 DR. IYER: Thanks, Meg. At this time, I'm not  
20 seeing any new comments or hands raised, but maybe we can  
21 wait for a little bit and see if anything pops up.

22 CHAIRPERSON SCHWARZMAN: Maggie.

23 DR. CLARK: Susan, you may have mentioned this  
24 already, but do you know if there are diurnal patterns in  
25 ambient air pollutants in this study area and what they

1 would be?

2 MS. HURLEY: That's a good question. I'm --  
3 my -- I don't know. My guess is that there are and that's  
4 a good point that we should, you know, look at that ahead  
5 of time. We are going to be having obviously air  
6 measurements, you know, throughout the sampling time, so  
7 we will be able to account for those, but I don't -- I  
8 don't know what it looks like.

9 DR. CLARK: Just in case -- in case that those  
10 are dominant enough to impact this kind of --

11 MS. HURLEY: Yeah.

12 DR. CLARK: You know, it could be more important  
13 even than -- you know, you're taking into account the  
14 diurnal patterns and the half-lives of the biomarkers, but  
15 you know, that could be driving --

16 MS. HURLEY: Yep.

17 DR. CLARK: -- if you do see any difference in  
18 either direction, yeah.

19 MS. HURLEY: Yeah.

20 DR. CLARK: But I think we talked about this  
21 before. And there isn't -- is there still no opportunity  
22 for a group that kind of follows the same timeline as the  
23 kids that are in MERV 16 school, but without that in the  
24 HVAC system just to have, you know, if there are those  
25 patterns that are just sort of naturally occurring,

1 because of the diurnal patterns of the air pollution, and  
2 you would see that represented in those kids' samples to  
3 be able to adjust it out.

4 MS. HURLEY: Yeah, so -- yeah, we can't really do  
5 that for a few reasons. One is that, you know, we have  
6 to -- we have to do it in a school that already has the  
7 air filtration installed.

8 And we don't really have the budget to have --

9 MS. HOOVER: Susan.

10 MS. HURLEY: -- a comparison somewhere else, and  
11 we don't --

12 MS. HOOVER: Susan.

13 MS. HURLEY: Yes.

14 MS. HOOVER: I think Maggie is saying a control  
15 group in a location without MERV, like to do a parallel --  
16 isn't that what you're saying, Maggie, to do a parallel  
17 collection in a school that's similar without MERV. And  
18 what I was going to chime in and say, because something  
19 has changed, which is our money is back. Our contract  
20 money is back. So before we had -- you know, because the  
21 budget has been signed and our contract money was  
22 restored.

23 So we've always been saying we don't have the  
24 money, which we did not have the money, because we lost  
25 our contract money. It's now back. So I think actually

1 I'm going to say we'll look into that idea. You know,  
2 obviously, we're aware that there's not going to be -- I  
3 mean, I think if we could look at patterns, you know, it's  
4 not going to be the same, right, because this school site  
5 is very specific in terms of the impacts around that  
6 school site. So we won't have something comparable, like  
7 we -- at last November's meeting, we were talking about  
8 trying to find a facility where there's two buildings in  
9 the same location -- you know --

10 MS. HURLEY: Right.

11 MS. HOOVER: -- we're not going to have anything  
12 like that, but I'm not -- I'm not going to rule it out at  
13 this point, but it would be tough. But we'll definitely  
14 think about it now that we have restored funding. But I  
15 am aware that's it's 4:10, so I'm going to pitch it back  
16 to...

17 CHAIRPERSON SCHWARZMAN: Nerissa.

18 DR. WU: Well, that's interesting about having  
19 another school, but I wondered if also you could have --  
20 and this is a whole other can of worms, if the families  
21 have a younger child who's not in the school, so they  
22 would have the same home exposure, but then they wouldn't  
23 be going to the MERV 16 building during the day, if that  
24 would be maybe a more controlled comparison.

25 MS. HOOVER: Yeah, that's an interesting idea.

1 MS. HURLEY: Yeah, that's interesting.

2 MS. HOOVER: Yeah, thanks for that idea. And  
3 that seems substantially easier in terms of recruitment,  
4 and management, and logistics. So that's a great idea.  
5 Thanks, Nerissa.

6 CHAIRPERSON SCHWARZMAN: And I think I heard in  
7 the inclusion criteria, Susan, that you're specifically  
8 saying not two members of the same household. And so it  
9 would just be -- unless I'm remembering that wrong.

10 MS. HURLEY: No, that --

11 CHAIRPERSON SCHWARZMAN: I mean, that is not two  
12 kids.

13 MS. HURLEY: Yeah, that's right. But, you know,  
14 Nerissa's idea is -- you know, that that other child would  
15 be a different -- you know, would be a control group. So,  
16 yes --

17 CHAIRPERSON SCHWARZMAN: Yes.

18 MS. HURLEY: -- in our intervention group, we  
19 are -- you know, we only want one per household.

20 CHAIRPERSON SCHWARZMAN: Great. Jenny, why don't  
21 you go ahead with your next thought.

22 PANEL MEMBER QUINTANA: Just very quickly,  
23 another problem I'm sure that some of our speakers know  
24 more about than I do is what if you have all these -- more  
25 people that want to participate than you have in your



1 study? I think that's a very likely possibility at a  
2 school where the community group has got people excited  
3 about it. You know, how are you going to -- or what can  
4 you offer people that you can -- that want to participate,  
5 but -- you know, how are you going to handle that  
6 situation? I think that's quite a likely such a scenario,  
7 if it -- especially at school, it's quite public, the  
8 recruitment and people talk to each other, you know.

9 MS. HURLEY: Yeah. We haven't had any specific  
10 discussions about that yet. But, Sara, I don't recall,  
11 was that an issue for EBDEP in -- I wasn't involved in  
12 that study, so I can't comment on that.

13 MS. HOOVER: It was not an issue.

14 MS. HURLEY: It was not. Okay.

15 MS. HOOVER: It was actually really tough for us  
16 to recruit children. And it took us -- we actually  
17 couldn't do our study design as we planned, because it  
18 took us so long to recruit. However, I think the  
19 situation Jenny is pointing to and the situation we're  
20 creating is very different, because we're recruiting at  
21 one school. Truthfully though, our general experience in  
22 our surveys, that has not been the case. I will say in  
23 East Bay Diesel, we were surprised at how many people that  
24 did volunteer wanted to volunteer for the daily samples.  
25 Like that happened really quickly.

1           So, I mean, I think one of the things we can say  
2 is we're still going to let everyone know in the community  
3 about what the results are particularly -- you know, at a  
4 high level summary results and all the air monitoring  
5 results. So we'll still be providing information to the  
6 community even if their child can't participate. But  
7 yeah, we -- like Susan said, we haven't pinned down the  
8 exact thing.

9           I'm aware that we're just about out of time, so I  
10 think -- I think you've covered -- we've covered all the  
11 discussion questions pretty well. Susan, is there any  
12 last thing before we move on to the next item?

13           MS. HURLEY: I don't think so, no.

14           MS. HOOVER: It's been really valuable. A lot of  
15 great ideas.

16           MS. HURLEY: Yeah.

17           CHAIRPERSON SCHWARZMAN: That was going to be my  
18 question also. It turns out it's not permitting me to  
19 show my screen, so --

20           MS. HOOVER: Well, we'll --

21           CHAIRPERSON SCHWARZMAN: -- (inaudible) do that.  
22 And someone else should reclaim the ability to be  
23 presenter, because I'd have to restart my computer. So  
24 our -- because that might be relevant in this next  
25 section.

1           Let's see, all well -- okay. I just had a little  
2 burp in my computer.

3           It is time for us to move on to the public  
4 comment session. And as Sara had said, depending on time,  
5 we might also use this session to return to the point  
6 about recommendations for the legislative report, the  
7 seventh legislative report.

8           But first, I want to make sure that we have  
9 covered any public comment. There is 15 minutes allocated  
10 for this open public comment period, which is meant to  
11 admit any comments that are on any topic related to  
12 Biomonitoring California, not just to each of the sessions  
13 that we've covered today.

14           And the same methods of submission apply as all  
15 day -- as all day. You can submit written comments and  
16 questions via GoToWebinar question feature or by email to  
17 biomonitoring@oehha.ca.gov. We'll read them aloud. You  
18 can also raise your hand using the raise hand or question  
19 feature on GoToWebinar and we can call on you.

20           So while Shoba checks to see if there's any  
21 public comment, I want to mention that prior to the  
22 meeting, Dr. Ahimsa Porter Sumchai submitted a link with  
23 information from the Hunters Point Community Biomonitoring  
24 Program on several topics, including a case study of a  
25 mother and child with detection of metals in urine. And

1 the link to that comment is available on the meeting page.  
2 It's too long to do justice to it by reading it out loud  
3 in this public comment period, but that's available on the  
4 meeting page.

5 Shoba, is there anyone teed up for public  
6 comment?

7 DR. IYER: I have two comments that we got  
8 earlier in the day, but no new ones I'm seeing come in at  
9 this time. Shall I go ahead and share the comments we got  
10 earlier in the day and didn't have time for.

11 CHAIRPERSON SCHWARZMAN: Sure.

12 DR. IYER: All right. One was from Nancy  
13 Buermeyer. And this is a general program suggestion on  
14 PFAS. Recent State legislation, including a ban on PFAS  
15 in firefighting foam last year, and hopefully food  
16 packaging this year, may provide an opportunity to track  
17 the effectiveness of these policies. For instance, do we  
18 see a reduction in PFAS exposure to the State overall and  
19 in specific communities, particularly those close to  
20 military facilities and airports, and/or who depend more  
21 on fast or other processed food that may contain more PFAS  
22 in the packaging? Hopefully, this could be accomplished  
23 within the current CARE project perhaps with just the  
24 addition of a couple of survey questions.

25 So that was from Nancy.

1           And the second brief comment we got was from  
2 Yolanda Sanchez earlier this afternoon. And she says  
3 thank you for thinking about the most important meaningful  
4 ways to provide results to participants.

5           CHAIRPERSON SCHWARZMAN: Great. Thank you for  
6 those comments. We really do all always appreciate  
7 hearing from folks who are invested in the Program. I  
8 guess here's what I think we should do, and, Sara, you can  
9 jump in if you think we need to do something else. I  
10 would like to take maybe 10 minutes that we have remaining  
11 and show the slide that I put together and with some staff  
12 about the -- that outlines the suggestions that were  
13 discussed in the earlier session from the Panel --

14           MS. HOOVER: Yes.

15           CHAIRPERSON SCHWARZMAN: -- for legislative  
16 report. And I also want to just have Shoba alert us if  
17 there is an additional public comment, so that we're not  
18 closing --

19           MS. HOOVER: Yeah.

20           CHAIRPERSON SCHWARZMAN: -- down this 15-minute  
21 public comment session prematurely.

22           MS. HOOVER: Agreed. I had the same thought in  
23 mind. So do you want -- I was going to suggest Stephanie  
24 share her screen since -- and show that slide, since you  
25 were having trouble, was that --

1 CHAIRPERSON SCHWARZMAN: Yes, please. Yes,  
2 please.

3 MS. HOOVER: Okay. Go for it, Stephanie.

4 MS. JARMUL: Does that work?

5 CHAIRPERSON SCHWARZMAN: Yes.

6 MS. JARMUL: Great.

7 CHAIRPERSON SCHWARZMAN: So the point of this is  
8 just I organized into a rough priority as I felt like I  
9 was hearing them from the Panel, the recommendations for  
10 the seventh legislative report that we discussed as a  
11 Panel today. And let's read through them briefly and have  
12 any discussion that you want to have about them. And then  
13 I wonder if we could return -- I know that staff kind of  
14 consolidated -- numbered that list of comments that were  
15 gleaned from previous meetings. And if we could return to  
16 those to see if we want to grab any of that information  
17 and add it to this list that Jenny and I will then work on  
18 writing up.

19 So I'll just review these so that you're not  
20 trying to listen and read at the same time. The first is  
21 as a more overarching goal mitigating environmental health  
22 inequities. And we could elaborate on this, but there's  
23 overlap with these additional recommendations, but that,  
24 in general, targeting studies to identify and address  
25 disproportionate harms borne by some communities. And it

1 could be based on geography, or occupation, or any number  
2 of race and ethnicity or any number of identifiers.

3 And the second was highlighting the value of  
4 intervention studies and their ability to identify the  
5 impact of public policy or non-regulatory interventions.  
6 And the examples that Jenny gave were like CARB diesel  
7 rules or the non-regulatory actions like foam replacement  
8 or air filtration like we've been discussing, that it  
9 simultaneously is a way of contributing to the goal of  
10 addressing environmental health inequities if we're  
11 looking at particularly highly impacted communities. And  
12 I think it was Veena who mentioned this notion that one of  
13 the beauties of intervention studies is they  
14 simultaneously address a community need while gathering  
15 data and getting useful information, which I think any  
16 time that we hear from community members in the meeting,  
17 that's often -- that's an often repeated request is to not  
18 just study the population but do something about it.

19 And that's hard particularly coming from the  
20 biomonitoring perspective, since the -- it's in the nature  
21 of biomonitoring to be monitoring. But the idea of being  
22 able to design studies where we're also doing some  
23 intervention is very powerful and resonates with me based  
24 on what we hear from -- as community priorities.

25 The third was evaluate exposures associated with

1 climate change. And in a sense, that's kind of organizing  
2 or framing our previous recommendation about wildfires  
3 under the -- kind of through the lens of climate change,  
4 but also addressing, you know, the specific chemicals  
5 exposures, whether it's particulate matter or other  
6 chemicals associated with wildfires and fires at the  
7 wildland-urban interface, which I didn't hyphenate  
8 correctly, but -- and also Tom mentioned the volatile or  
9 percent organic compounds that are -- whose patterns of  
10 transport and distribution are changing with climate  
11 change.

12           The fourth is the value of non-targeted analyses  
13 and particularly highlighting that and their ability to  
14 identify previously unrecognized pollutants. Another idea  
15 was returning to the initial sort of program priority of  
16 evaluating exposure to breast cancer relevant compounds.  
17 And finally, as we discuss these recommendations,  
18 acknowledging the gap between what is feasible and really  
19 the ultimate goal of meeting the legislative mandate of  
20 conducting statewide surveillance.

21           So that was what I captured from this morning's  
22 conversation. And what I'd like to do is invite additions  
23 to this. And in service of that, maybe Stephanie or  
24 whoever is sharing screens could put up the consolidated  
25 slide of previously gleaned recommendations to see if we



1 want to grab anything from that for this process.

2 Comments, additions, suggestions from the Panel.

3 Veena.

4 PANEL MEMBER SINGLA: Thank you, Meg, for putting  
5 this together. I have comments on number five and number  
6 six of that slide. On number five, I understand this was  
7 kind of a motivation or impetus, you know, around when the  
8 Program was formed. But I guess I wonder, you know, the  
9 Program generally hasn't had a particularly  
10 disease-focused lens, and, you know, has thought more  
11 about kind of classes of chemicals or kinds of exposures.  
12 So this is just a question. If we're going to call out a  
13 particular disease, maybe we should give it a little  
14 thought if, you know, why breast can -- not that breast  
15 cancer isn't an important priority. Of course, it is.  
16 But is -- does that still make sense or, you know, would  
17 talking about carcinogens as a class of compounds maybe be  
18 a better recommendation? I'm not sure. That one does  
19 kind of stand out to me as a little different from kind of  
20 how the Program has generally done its approach.

21 And then on number six, I'm not sure what -- like  
22 what the exact wording is. I have -- you know, I haven't  
23 had time to kind wordsmith it, but I do feel like  
24 acknowledging the sort of additional capacity that the  
25 stable funding brings and that that sort of -- you know,

1 the Program's ability to advance on that goal of  
2 surveillance while not meeting it, you know, is some -- we  
3 want to just reframe it a little bit and definitely  
4 mention the stable additional funding.

5 CHAIRPERSON SCHWARZMAN: Any other comments on  
6 that? I don't remember who proposed the -- returning to  
7 the idea of breast cancer relevant compounds. I  
8 appreciate the -- Veena, your comment about, you know, one  
9 disease over another and how do we pick one over another,  
10 but if there's any reflection on that. I mean, one thing  
11 that I would say in terms of -- based on my work in terms  
12 of environmental contributors to breast cancer is that  
13 breast cancer is very much unlike other cancers in terms  
14 of the hormonal contributions to the disease. And it is  
15 getting to the top of the list, if not the top of the  
16 list, for both incidence and mortality, depending on the  
17 age group and things like that. So if one wanted to make  
18 a case for it, there may be ways of making that case, but  
19 I'm not actually advocating for that. And I just wanted  
20 to open a moment for the person who suggested it to say  
21 anything. It sounded like it was basically on the basis  
22 of it being original.

23 Yes, Jenny.

24 PANEL MEMBER QUINTANA: That was me. So I think  
25 your point is well taken, Veena, and perhaps it could be

1 expressed as endocrine, you know, affecting compounds --  
2 you know, grouping it on the compound area. You know,  
3 carcinogens act through endocrine mechanisms and -- or  
4 something like that may be a better way to put it.

5 But I just wanted to bring it up, because I --  
6 you know, just looking at all the different pilot studies  
7 we've had and different groups, we haven't focused on that  
8 I think was my main point, but not to phrase it like this.  
9 I agree with you.

10 CHAIRPERSON SCHWARZMAN: So in the two minutes  
11 that we have remaining, what has been left off this list,  
12 because otherwise Jenny and I will just capture what's on  
13 this list. And she and I might just review the old list  
14 and see if there's something that we want to pick off.  
15 But now is your moment for the rest of the panelists to  
16 choose something else that needs to be on this list.

17 MS. HOOVER: Hey, Meg, I want to invite you to  
18 extend, if you -- you know, we don't have to end the  
19 meeting at 4:30.

20 CHAIRPERSON SCHWARZMAN: Okay.

21 MS. HOOVER: We can go a little bit longer. And  
22 it seems it will help you and Jenny quite a bit, if you  
23 get a little bit more feedback.

24 CHAIRPERSON SCHWARZMAN: Thank you for that.

25 MS. HOOVER: So if that helps you and the Panel,

1 let's just keep going for, you know, a bit longer.

2 CHAIRPERSON SCHWARZMAN: Great. Okay. I didn't  
3 realize we had that flexibility.

4 Nerissa.

5 DR. WU: I just had a couple sort of random  
6 thoughts. One is I just wanted to acknowledge the role of  
7 surveillance in addressing some of these other goals, that  
8 it's not really an either/or that -- in order to look at  
9 things like inequities, it's really important for us to  
10 have robust surveillance and to look at policy  
11 effectiveness. It's important for us to have robust  
12 surveillance. I would just -- I'm just cautionary about  
13 setting it up as sort of an either/or sort of situation.

14 And I also just wanted to point out with the  
15 augmented funding, that does fall outside of the time  
16 period that's covered with this legislative report. The  
17 legislative reports also don't usually get into resource  
18 discussions. But I think -- I mean, I think Nancy's point  
19 was well taken that we should be talking about, you know,  
20 what we can and can't do given resources, but we -- since  
21 this does have a coverage period that ends in June and  
22 funding doesn't start until July, it -- we'll have to  
23 think about how we talk about that.

24 And the final thought I had was with climate  
25 change, the other huge impact is water availability, and

1 well water, and the potential uptake of different  
2 pollutants to well water. I know these are your  
3 recommendations, not mine, but I thought I would throw it  
4 out there.

5 CHAIRPERSON SCHWARZMAN: Great. Given that we've  
6 had a bunch of time looking at this slide, is it possible  
7 to change back to the other list to see if there's  
8 anything there that panelists want to select to add to  
9 this list.

10 MS. HOOVER: Sure. Stephanie can do that. I  
11 think that was in Nerissa's list, right?

12 DR. WU: Yeah. I think if you go to the second  
13 page of the list --

14 MS. HOOVER: Yeah.

15 DR. WU: -- I had sent you, it orders the things  
16 we've captured over the last two years.

17 MS. HOOVER: Oh, so this is a single slide,  
18 Stephanie.

19 MS. JARMUL: Yeah, I'll open up Nerissa's  
20 original right now.

21 MS. HOOVER: And I'm -- was climate change on the  
22 other list, because I thought that was -- wasn't that a  
23 comment that somebody wanted captured?

24 CHAIRPERSON SCHWARZMAN: Climate change is number  
25 three on our list.

1 MS. HOOVER: Climate is -- oh, gosh. Wow. I  
2 looked and looked, but I missed the blue text. My  
3 apologies.

4 (Laughter.)

5 MS. JARMUL: Is this the right page?

6 CHAIRPERSON SCHWARZMAN: Thank you, Stephanie.

7 DR. WU: Yes.

8 CHAIRPERSON SCHWARZMAN: That's great.

9 Thank you for doing that on the fly.

10 (Laughter.)

11 MS. JARMUL: No problem.

12 MS. HOOVER: Why don't you put it in full screen,  
13 yeah, so that it's more visible.

14 MS. JARMUL: Yes, if I can.

15 DR. WU: So these are the points that have been  
16 gathered over the past two years, just our recollection  
17 and summaries of the previous SGP meetings. Some of them  
18 are captured on the other slide. And, of course, some of  
19 the numbering is not consistent. But I guess the  
20 comparison of the two, if there's things on this list that  
21 should be migrated onto the other list --

22 CHAIRPERSON SCHWARZMAN: Exactly, that was just  
23 my point is since this was staff capturing recommendations  
24 from the Panel in the past, even if they weren't in  
25 response to this question, this allows us to revisit those

1 points and see if we want to select any of them to add to  
2 our main recommendation list. And it looks like Stephanie  
3 is trying to get it to go full screen.

4 (Laughter.)

5 MS. JARMUL: Yeah, I'm having some technical  
6 difficulties, but tried to make it larger. I have to --

7 CHAIRPERSON SCHWARZMAN: Can you at least slide  
8 the slider on the bottom right-hand corner up to be a  
9 larger percent and you might have to scroll through it.

10 MS. JARMUL: Yes. Let's see if this helps.

11 CHAIRPERSON SCHWARZMAN: Great.

12 MS. JARMUL: For some reason it's not working for  
13 me right now, so -- oh, there we go.

14 CHAIRPERSON SCHWARZMAN: Great. Thank you. So  
15 we essentially capture one, two, and three under  
16 environmental inequities. And Jenny and I can check to  
17 make sure that we're reflecting sort of the richness of  
18 that.

19 Yes, Veena and then Jenny.

20 PANEL MEMBER SINGLA: I do think number eight  
21 is -- remains important on the effectiveness of regulatory  
22 programs.

23 CHAIRPERSON SCHWARZMAN: And do you think we  
24 didn't really capture that? I guess we referred to that,  
25 but didn't expand on it in the -- in our current list, but

1 we'll make sure that we capture that.

2 CHAIRPERSON SCHWARZMAN: Jenny, you had  
3 something.

4 PANEL MEMBER QUINTANA: I just wanted to  
5 reiterate that number four I feel like, you know, that we  
6 should use the amazing capacity of the laboratories and  
7 use the money for analysis and less on sample collection,  
8 if possible. Given funding limitations, I just personally  
9 feel that would be a way to continue to explore in terms  
10 of surveillance.

11 CHAIRPERSON SCHWARZMAN: Carl.

12 PANEL MEMBER CRANOR: Just a quick point.  
13 Everybody hear me okay? Everything is working I think.

14 CHAIRPERSON SCHWARZMAN: (Nods head.)

15 PANEL MEMBER CRANOR: We mentioned children this  
16 morning, I think that's terribly important. If we can  
17 protect the children, we can protect the rest of us. When  
18 we know what's going on in children, we very -- we'll know  
19 what's going on in a lot of the rest of us. So insofar as  
20 it's consistent with other things, I do think that it's  
21 important to understand what's occurring to children.  
22 They're the -- one of the most vulnerable groups anyway.

23 CHAIRPERSON SCHWARZMAN: And Ulrike, you had  
24 something.

25 PANEL MEMBER LUDERER: Yeah. I think also the



1 focus on California and things that are specific to  
2 California. I mean, I think that is another really  
3 important aspect of the Program that we shouldn't forget.

4 CHAIRPERSON SCHWARZMAN: That's the sort of 11,  
5 focus on what makes California different?

6 PANEL MEMBER LUDERER: Um-hmm.

7 CHAIRPERSON SCHWARZMAN: Great. Anything else  
8 from this list or just from your thoughts before we wrap  
9 it up?

10 In that case, I think we should wrap it up. And  
11 I will just say that as Jenny and I work to prepare this,  
12 please, individual Panel members can email individual  
13 Panel members. So if you want to send me or Jenny --

14 MS. HOOVER: Meg. Meg.

15 CHAIRPERSON SCHWARZMAN: Yeah.

16 MS. HOOVER: No, you can't do that, because it's  
17 a serial meeting, because it's the same topic.

18 CHAIRPERSON SCHWARZMAN: Okay. Never mind.

19 MS. HOOVER: This is your chance.

20 CHAIRPERSON SCHWARZMAN: Okay.

21 MS. HOOVER: And actually before you wrap up,  
22 like you said, we should just do one last check that we  
23 didn't miss any public comment. I don't think so.

24 CHAIRPERSON SCHWARZMAN: Thank you. I did with  
25 Shoba.

1 MS. HOOVER: Yeah.

2 CHAIRPERSON SCHWARZMAN: Yes.

3 DR. IYER: And no, there is no additional public  
4 comment.

5 CHAIRPERSON SCHWARZMAN: Okay.

6 MS. HOOVER: Okay. Great. Back to you.

7 CHAIRPERSON SCHWARZMAN: Veena. You had  
8 something.

9 PANEL MEMBER SINGLA: Thank you. Yes, just a  
10 quick question. After the letter is prepared, will we see  
11 a draft and have an oppor -- just process-wise, could you  
12 say a little more about that?

13 CHAIRPERSON SCHWARZMAN: So, Sara -- yeah, Sara  
14 clarified this for me that because of the timing of when  
15 the legislative report is due, because it has to be done  
16 publicly, there's no way to do that before the report is  
17 due.

18 MS. HOOVER: Yeah. Unfortunately, you know,  
19 because of when it has to get into the CDPH chain in order  
20 to have a hope of having it issued by 2022, this is the  
21 time that you can provide input. And obviously we've --  
22 you know, Nerissa has gathered your input over the last  
23 couple of years. So, yeah, I would say try to -- try to  
24 give input now and I think Jenny and Meg will do a good  
25 job of reflecting the Panel's views.

1 CHAIRPERSON SCHWARZMAN: Okay. With that, and  
2 with confirmation from Shoba that there was no additional  
3 public comment, I will do what I need to do to adjourn the  
4 meeting here.

5 So Nerissa, was there -- did you have something?

6 DR. WU: Nope. Just popping on to say goodbye.

7 CHAIRPERSON SCHWARZMAN: Oh, okay. Okay. Great.  
8 So I just need to announce that a transcript of the  
9 meeting will be posted on the Biomonitoring California  
10 website when it's available. And the next SGP meeting is  
11 Monday, November 8th of 2021 and will be held via webinar  
12 again. I want to thank the staff who puts a tremendous  
13 amount of work into organizing these meetings and lining  
14 up a really interesting agenda, and also to Panel members,  
15 and speakers, and the attendees.

16 And with that, I'll adjourn the meeting.

17 Thank you.

18 (Thereupon the California Environmental  
19 Contaminant Biomonitoring Program, Scientific  
20 Guidance Panel meeting adjourned at 4:38p.m.)  
21  
22  
23  
24  
25

CERTIFICATE OF REPORTER

I, JAMES F. PETERS, a Certified Shorthand Reporter of the State of California, do hereby certify:

That I am a disinterested person herein; that the foregoing California Environmental Contamination Biomonitoring Program Scientific Guidance Panel meeting was reported in shorthand by me, James F. Peters, a Certified Shorthand Reporter of the State of California, and thereafter transcribed under my direction, by computer-assisted transcription.

I further certify that I am not of counsel or attorney for any of the parties to said meeting nor in any way interested in the outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 28th day of July, 2021.



JAMES F. PETERS, CSR  
Certified Shorthand Reporter  
License No. 10063