

CALIFORNIA ENVIRONMENTAL CONTAMINANT  
BIOMONITORING PROGRAM  
(BIOMONITORING CALIFORNIA)  
SCIENTIFIC GUIDANCE PANEL MEETING  
CONVENED VIA HYBRID FORMAT BY:  
OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT  
CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY  
STATE OF CALIFORNIA

ELIHU M. HARRIS STATE OFFICE BUILDING  
GEORGE ALEXEEFF ENVIRONMENTAL HEALTH LIBRARY  
16TH FLOOR  
1515 CLAY STREET  
OAKLAND, CALIFORNIA

TUESDAY, MARCH 25, 2025

1 P.M.

DIANA FLORES NUCHURCH, CA CSR NO. 14759

iDepo Reporters

info@iDepoReporters.com

323-393-3768

1 APPEARANCES

2 PANEL MEMBERS:

3 Carl F. Cranor, PhD, Acting Chair

4 Lara Cushing, PhD (Remote)

5 Thomas McKone, PhD

6 Amy Padula, PhD, MSc

7 Penelope (Jenny) Quintana, PhD, MPH (Remote)

8 José R. Suárez, MD, PhD, MPH (Remote)

---

10 OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT:

11 Dave Edwards, PhD, Acting Director

12 Stephanie Jarmul, MPH, Section Chief, Safer  
13 Alternatives Assessment and Biomonitoring Section,  
Reproductive and Cancer Hazard Assessment Branch

14 Kannan Krishnan, PhD, Assistant Deputy Director,  
15 Division of Scientific Programs

16 CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

17 Dina Dobraca, MPH, Research Scientist III,  
18 Environmental Health Investigations Branch

19 Susan Hurley, MPH, Research Scientist III,  
Environmental Health Investigations Branch

20 Nerissa Wu, PhD, MPH, Chief, Exposure Assessment  
21 Section, Environmental Health Investigations  
Branch

22 GUEST SPEAKERS:

23 Emily Pennoyer, PhD, MPH, Boston University School  
24 of Public Health, Maine Center for Disease Control

25 Wendy Linck, PG, PMP, Division of Water Quality,  
State Water Resources Control Board

## INDEX

### PAGE

Welcome

David Edwards, PhD, Acting Director, Office  
Of Environmental Health Hazard  
Assessment (OEHHA)

1

Overview of the Meeting

Carl F. Cranor, PhD, Acting Chair,  
Scientific Guidance Panel (SGP)

6

Program Update

Presentation: Nerissa Wu, PhD, MPH, Chief,  
Exposure Assessment Section, Environmental  
Health Investigations Branch  
Panel Discussion and Input

8  
21

Update on Perfluoroalkyl and Polyfluoroalkyl  
Substances (PFASs) and Drinking Water in  
California

Presentation: Emily Pennoyer, PhD, MPH,  
Boston University School of Public Health,  
Maine Center for Disease Control and  
Prevention

39

Panel and Audience Questions  
Open Discussion Period and Input

54  
66

Presentation: Wendy Linck, PG, PMP, Division  
Of Water Quality, State Water Resources  
Control Board

74

Panel and Audience Questions  
Open Discussion Period and Input

93  
106

Open Public Comment Period

111

Wrap-up and Adjournment

112

Reporter's Certificate

113

## PROCEEDINGS

ACTING DIRECTOR EDWARDS: All right. Good afternoon. I would like to welcome all the Panel members and the audience to the March meeting of the Scientific Guidance Panel for Biomonitoring California, more formally known as the California Environmental Contaminant Biomonitoring Program. Thank you all for joining us today. It's definitely a little bit warmer than normal in Oakland, see all of us are in jackets.

All right. So the Panel last met on November 7, 2024. The November meeting included updates on Biomonitoring California Program activities including the launch of a new project evaluating results return materials from the Biomonitoring component of the San Joaquin Valley Pollution and Health Environmental Research (BiomSPHERE) study.

In the second half of the meeting, the Panel heard updates from Program staff on environmental monitoring results from the Farmworker women and Respiratory Exposure to Smoke from Swamp Cooler Air, otherwise known as FRESSCA-Mujeres project, followed by a guest speaker from UC Merced who presented preliminary results of urinary

1 biomarkers of response in adults and children from  
2 the San Joaquin Valley.

3           Key discussion topics included the study  
4 objectives and scope of work for the project  
5 evaluating BiomSPHERE results return materials. The  
6 Panel discussed communicating results for biomarkers  
7 of response, participant selection for interviews  
8 and focus groups, alternative methods for results  
9 distribution and additional formats, such as graphs  
10 and online platforms, to be tested with focus groups  
11 for feedback.

12           Air monitoring methods and environmental  
13 results from the FRESSCA-Mujeres project including  
14 additional analyses and other considerations when  
15 investigating the effectiveness of the swamp cooler  
16 filters and portable indoor air cleaners, potential  
17 exposure sources of PAHs and VOCs found in air,  
18 results from PurpleAir monitors.

19           Urinary biomarkers of response data from  
20 the BiomSPHERE study, including the ability to  
21 analyze consecutive daily samples with these  
22 specific biomarkers to better understand short-term  
23 variability, challenges in interpreting biomarker  
24 results in light of chronic versus acute responses  
25 to a variety of stressors and possible exposure

1 durations, differences in results between children  
2 and adults, additional variables captured in the  
3 participant questionnaires to consider for future  
4 analyses. The Panel also provided input on possible  
5 topics for 2025 SGP meetings.

6 The summary and transcript of the meeting  
7 is posted on the November meeting page on the  
8 Program's website at [biomonitoring.ca.gov](http://biomonitoring.ca.gov). So for  
9 today, we have Carl Cranor will be acting as the  
10 SGP Chair for the meeting.

11 Thank you, Carl, for taking on this role  
12 today.

13 And I will now invite the Panel members to  
14 introduce themselves by name and affiliation. Let's  
15 start with Jenny Quintana, who is attending  
16 remotely. Jenny has been granted a reasonable  
17 accommodation to attend this meeting remotely.

18 PANEL MEMBER QUINTANA: Hi everybody. My  
19 name is Penelope, or nickname Jenny, Quintana. I'm  
20 a professor at the San Diego State University School  
21 of Public Health.

22 ACTING DIRECTOR EDWARDS: All right.

23 Lara?

24 PANEL MEMBER CUSHING: Hi, I'm Lara  
25 Cushing, Associate Professor of Environmental Health

1 Sciences at the University of California Los  
2 Angeles.

3 ACTING DIRECTOR EDWARDS: Great.

4 And we also have José, who is attending  
5 remotely due to an unexpected flight delay.

6 José?

7 PANEL MEMBER SUÁREZ: Good afternoon.

8 José Ricardo Suárez, Associate Professor and  
9 Director of the Climate Environmental Health  
10 Research Program and Division at the School of  
11 Public Health at the University of California San  
12 Diego.

13 ACTING DIRECTOR EDWARDS: Great. Thank  
14 you.

15 Now we'll go around the room.

16 Tom?

17 PANEL MEMBER MCKONE: I'm Tom McKone. I'm  
18 -- is it on?

19 Tom McKone, I'm Professor Emeritus, School  
20 of Public Health --

21 THE COURT REPORTER: I'm sorry. I'm so  
22 sorry to interrupt. I'm the Court Reporter, I'm  
23 just making a record. I cannot hear the person.  
24 I'm sorry.

25 STEPHANIE JARMUL: Can you just press the

1 button?

2 PANEL MEMBER MCKONE: How's that? It  
3 might be the batteries. Oh yeah, that one's not  
4 flashing.

5 All right. Let's start over again. I'm  
6 Tom McKone. I'm Professor Emeritus of Environmental  
7 Health Sciences at the School of Public Health,  
8 University of California Berkeley.

9 ACTING DIRECTOR EDWARDS: And, Amy?

10 PANEL MEMBER PADULA: My name is Amy  
11 Padula, and I'm an Associate Professor in the  
12 Department of Obstetrics Gynecology and Reproductive  
13 Sciences at the University of California San  
14 Francisco.

15 ACTING DIRECTOR EDWARDS: Great. Thanks,  
16 Amy.

17 And, Carl?

18 ACTING CHAIR CRANOR: Carl Cranor,  
19 Professor -- Distinguished Professor Emeritus in  
20 Philosophy and Faculty Member and Professor Emeritus  
21 Environmental Toxicology at UC Riverside.

22 ACTING DIRECTOR EDWARDS: Great. Thank  
23 you everyone.

24 And now I'll turn it over to Carl who will  
25 provide more details about today's meeting.



1           ACTING CHAIR CRANOR:   Okay.   We have  
2   some -- some further guidance:   As a reminder to  
3   Panel members, please comply as usual with the  
4   Bagley-Keene open meeting requirements that all  
5   discussions and deliberations of the Panel about the  
6   subject matters at issue today will need to be  
7   conducted during the meeting not on breaks or with  
8   individual members of the Panel or on- or off-line  
9   including phone, email, chats, or text messages.

10           Panel members who have not been granted a  
11   reasonable accommodation and are attending remotely  
12   must visibly appear on camera during the open  
13   portion of the meeting.   If you're unable to keep  
14   your -- keep your camera on during the meeting  
15   because it is technologically impracticable, please  
16   make announcement when you turn your camera off.  
17   Additionally, if someone older than 18 is in the  
18   room with Panelists who are attending remotely, you  
19   must disclose the presence of that person and their  
20   general relationship to you.

21           Do we have any under 18 members  
22   off-camera, off-site?   No.   Okay.   So we've checked  
23   that.

24           We will first hear an update on Program  
25   activities.   The Panel will also hear from two guest

1 speakers on perfluoroalkyl and polyfluoroalkyl  
2 substances, PFASs, and drinking water in California.

3           There will be time for question from the  
4 Panel and audience after each presentation. If  
5 Scientific Guidance Panel members wish to speak or  
6 ask a question, please raise your hand. I will call  
7 on you at the appropriate time and then you can ask  
8 a question or provide your comment.

9           If online webinar attendees have questions  
10 or comments during the question periods after each  
11 talk, you can submit them to the Q&A feature of the  
12 Zoom webinar or by email to  
13 [Biomonitoring@OEHHA.Ca.Gov](mailto:Biomonitoring@OEHHA.Ca.Gov).

14           We will not be using the chat function  
15 during this -- this meeting. Please keep your  
16 comments brief and focused on the items under  
17 discussion. Relevant comments will be read aloud  
18 and paraphrased when necessarily -- necessary. If  
19 online attendees wish to speak during the public  
20 comment periods and discussion sessions, please use  
21 the Raise Hand feature in the Zoom webinar, and  
22 Rebecca Belloso will call on you at the appropriate  
23 time.

24           I'm not done. If you're attending in  
25 person and wish to comment during the public comment

1 periods and discussion periods, please come to the  
2 front or raise your hand, and I will call on you at  
3 the appropriate moment. For the benefit of the  
4 transcriber, please clearly identify yourself before  
5 providing comment and write your name and  
6 affiliation on the sign-in sheet at the back of the  
7 room. At the end of the meeting, there will be time  
8 for an open public comment period.

9 Our first speaker is Nerissa Wu who is the  
10 Chief of the Exposure Assessment Section in the  
11 Environmental Health Investigations Branch, EHIB, at  
12 the California Department of Public health and the  
13 overall lead for Biomonitoring California. She will  
14 provide a current update on Program activities.

15 Nerissa.

16 (Slide presentation)

17 NERISSA WU: Thanks, Carl. Thanks for  
18 serving as our chair today.

19 Welcome everybody. Good afternoon. I  
20 will be giving the Program update today, which will  
21 cover the usual components of the Program, but I  
22 actually wanted to start today by talking a little  
23 bit about wildfires.

24 So the wildfires in Los Angeles County  
25 have brought about, obviously, huge devastation and

1 also concerns about environmental and occupational  
2 exposures during the fire and in the aftermath. And  
3 we have been contacted by a number of researchers  
4 asking us if we would be trying to measure exposures  
5 related to the fire.

6           We as a Program did not go into the field  
7 to collect samples ourselves, but we have been  
8 considering ways in which we could support the  
9 efforts. So we're in discussion with research teams  
10 about conducting analysis for samples that they have  
11 collected. Details are still being worked out, so  
12 I'm not gonna go into details, but both labs may end  
13 up playing a role in these larger efforts to measure  
14 exposures both to fire and then during cleanup.

15           We've also offered CARE-LA data as a  
16 baseline comparison for metals and for PFASs and  
17 also let people that know we do have archived  
18 samples from CARE-LA that could be analyzed for  
19 additional analytes if that -- if that's something  
20 that they have interest in.

21           Here I'm actually going to move this over,  
22 I can't see -- there we go. We've also taken a look  
23 at the CARE metals data as part of our analyses, we  
24 took a look at the wildfire related data. CARE-LA  
25 was conducted in the first half of 2018. CARE-2 was

1 conducted in similar months the following year.  
2 And there were fires in the CARE counties in the  
3 months preceding our fieldwork. So we added two  
4 questions to our questionnaire to try to understand  
5 participants' fire or cleanup-related activities.  
6 And these tables just show the fires of a thousand  
7 acres or more that were active before and in the  
8 months that we were in the field.

9           So we had asked our participants if they  
10 had experienced any of these activities -- okay --  
11 any of these activities related to recent fires in  
12 the preceding months, so things like performing  
13 emergency response duties such as fire suppression,  
14 performing debris or ash cleanup as part of a job or  
15 performing debris or ash cleanup for their own home  
16 or as a volunteer, or if they were living in an area  
17 with fire damage once the fires were out.

18           And you can see that the number of  
19 participants answering yes to any of these  
20 activities for both CARE-LA and CARE-2 was pretty  
21 low. Not unexpected. The study was not designed  
22 around wildfires, so neither participant selection  
23 nor the questionnaire were really designed with the  
24 objective of looking at wildfire impacts.

25           So we did not have sufficient numbers to

1 look at any occupational exposures, but we did look  
2 at participants who participated in ash and debris  
3 cleanup and also created a variable that included  
4 these last two: "Performing debris or ash cleanup"  
5 or "After the fires, I lived in an area with fire  
6 damage." And we also created an "any wildfire"  
7 variable which included anyone who responded yes to  
8 any of our questions about wildfire activities. And  
9 these variables were put into a model with our  
10 biomonitoring results for metals.

11 We did find that the participants who  
12 reported cleaning up debris and ash at their home or  
13 as a volunteer, had twice as high levels of urinary  
14 mercury than participants who said no to these  
15 questions. And then you add in the people who said  
16 they did ash or debris cleanup as a part of their  
17 work, the finding is roughly the same; it doesn't  
18 add that many people because there's a lot of  
19 overlap between those categories. But this  
20 difference was found in both CARE-LA and the CARE-2  
21 study populations and persisted even after the model  
22 was adjusted for age, race, and income.

23 So we will continue to examine the data,  
24 see if there are other confounders or biases that we  
25 haven't accounted for. It is a very small sample

1 size, so there's not a lot we can do with this data,  
2 but it is something of note that we will be looking  
3 for in other data. And we did not see other  
4 associations between other metals levels and  
5 wildfire activities.

6           There have been elevated mercury findings  
7 in other California studies of firefighters,  
8 Biomonitoring California had the FOX Study in 2011,  
9 so not specifically looking at wildfire exposures,  
10 more general firefighting activities. And those  
11 firefighters had slightly elevated blood mercury  
12 levels and roughly the same urinary mercury levels  
13 compared with NHANES.

14           Tubbs firefighters had been -- were found  
15 to have -- the firefighters who had been deployed,  
16 were found to have higher blood mercury levels than  
17 nondeployed firefighters. And then following the  
18 Camp Fire, firefighters coming right out of  
19 deployment were found to have higher blood level  
20 mercury -- blood mercury levels compared to NHANES.  
21 And we could not compare urinary mercury 'cause  
22 NHANES detection frequencies are low enough that  
23 they don't post a median. But we know that  
24 detection frequency among the firefighters was  
25 higher than for NHANES.

1           And there could be multiple exposures for  
2 firefighters of mercury, including thermometer --  
3 thermometers, thermostats, other household items  
4 that burn, other building components. Wildfires can  
5 also release inorganic mercury either as a gas or by  
6 attaching to particulates in the air from burning  
7 biomass and thermal volatilization of soils. But  
8 it's a concern for firefighters. It's also a  
9 concern to, just, people who live in the area as  
10 they go clean up and there's ash that has mercury  
11 bound to that particulate settling in the ash.

12           So there is this active research going on  
13 to learn about the environmental exposures that  
14 might happen in a fire, particularly important to  
15 California particularly as they're having more and  
16 more of these fires. And the hope is that this  
17 research will help us come up with appropriate  
18 public health actions and advisories.

19           So biomonitoring following wildfires and  
20 the firefighters, in particular is really  
21 complicated logistically -- lots of things to  
22 consider like the timing between when samples are  
23 collected and the exposure period, particularly a  
24 concern for chemicals that are of short biological  
25 half-life.



1 Collecting samples immediately following  
2 deployment in the chaos of a wildfire is, of course,  
3 very difficult. And then in studying exposures,  
4 it's important to think about the type of fire being  
5 fought, the actual firefighting activities. They  
6 all fall within firefighting activities, but there  
7 are many different things a firefighter could be  
8 doing, and if or how they are wearing protective  
9 gear. And then with all biomonitoring studies, of  
10 course, you have to think about the multiple places  
11 that exposure could be coming from.

12 So general surveillance might not be the  
13 right tool to look at specific exposure scenarios.  
14 Might not be quite the same population. Very small  
15 percentage of our CARE participants were part of the  
16 fire-related activities. The questionnaires might  
17 not be designed to get to the very specific  
18 information that we need. But surveillance provides  
19 baseline data that might be useful for comparison.

20 And as we've talked about CARE-LA as a  
21 baseline, and also last in -- in the July SGP  
22 meeting, we talked about PFAS and POP trends in some  
23 of our surveillance data. There was recently a  
24 paper by Kristin Knox and others at Silent Spring,  
25 that looked at trends in chemical exposures in

1 relation to Prop 65 listing. All of these things  
2 together really highlight the importance of having  
3 high quality representative surveillance data. And  
4 that's something that we're gonna continue to pursue  
5 with our surveillance work.

6           So this is a list of our surveillance  
7 studies that we have in progress. You have heard  
8 about the California Regional Exposure Study  
9 already. We're gonna continue our work to look at  
10 metals exposures and predictors of it. And you're  
11 going to hear about associations of PFASs in serum  
12 and PFASs in drinking water in just a few minutes.  
13 And -- and we have our STEPS, Studying Trends in  
14 Exposures in Prenatal Samples, or STEPS, for which  
15 we're in the laboratory phase looking at PFAS  
16 temporal trends, and we're continuing to consider  
17 study design options for our future surveillance  
18 work.

19           And then a little bit more detail on  
20 STEPS, the lab continues to make progress on our  
21 PFAS analyses. So we're getting close to having a  
22 full set of data for Orange County, which will  
23 enable us to look at time trends for that one  
24 county. Fresno County samples are about 30%  
25 complete, and this last month we were able to

1 complete our sampling for the 2024 births in Los  
2 Angeles County. And those will be in the queue for  
3 STEPS analyses.

4 And I turn to our community focused  
5 studies. I'll talk a little bit about the ACE,  
6 BiomSPHERE, and FRESSCA-Mujeres projects. For the  
7 Asian-Pacific Islander Community Exposures, or ACE,  
8 Project, Kelly -- Kelly Chen spoke last July about  
9 the work she has been doing to look at associations  
10 between seafood consumption and participant PFAS  
11 levels.

12 Kelly has continued this work. She has  
13 incorporated a two-stage meta-analysis approach to  
14 account for differences between the two ACE phases  
15 and improve power in the study. There are a few  
16 tweaks to the effect estimates, but overall the --  
17 the similar patterns and association that she  
18 presented in July hold true. And that is a  
19 manuscript that should be ready for submittal to a  
20 journal this spring.

21 We also have a two-page fact sheet  
22 summarized -- summarizing the study, which our  
23 staff, Kiera Melton has been working on. And that  
24 is in conjunction with our website and social media  
25 post which will be used to disseminate the study

1 findings to a broad audience.

2           We have BiomSPHERE, the Biomonitoring  
3 component of the San Joaquin Valley Pollution and  
4 Health Environmental Research Study. We will be  
5 returning results for urinary metabolites of PAHs  
6 and nicotine this coming month in April. Staff are  
7 preparing results return materials for the urinary  
8 metabolites of VOCs. Staff are also reviewing  
9 biomonitoring, environmental, and questionnaire data  
10 and planning a meeting with the community in the  
11 summer.

12           And for Farmworker women and Respiratory  
13 Exposure to Smoke from Swamp Cooler Air,  
14 FRESSCA-Mujeres, staff have followed up with  
15 participants with elevated levels of urinary metals.  
16 So among the FRESSCA-Mujeres participants, there  
17 were five people with elevated mercury levels, two  
18 with elevated inorganic arsenic, and one participant  
19 with elevated total arsenic levels. So we conduct  
20 our usual level of concern follow-up with some more  
21 exposure surveying, reaching out to those  
22 participants to try to identify where they might  
23 have been exposed so we can work on reduction.

24           Analyses of urine samples is ongoing.  
25 Staff are preparing results return materials for

1 PAHs, VOCs, metals, and nicotine, as well as  
2 reviewing the biomonitoring, environmental, and  
3 questionnaire data, and for FRESSCA-Mujeres as well,  
4 planning a community meeting for the summer.

5 Over in the lab, the Environmental  
6 Chemistry Lab just completed the process to obtain  
7 ISO accreditation, formal recognition that they're  
8 meeting international standards. A lot of work on  
9 the part of staff. Luckily, it lasts for a couple  
10 of years. And they are also very busy analyzing  
11 those hundreds of STEPS samples I mentioned earlier.  
12 They've also participated in international  
13 proficiency testing for PFASs and POPs, and are  
14 continuing their work to develop cyclosiloxane and  
15 PAH methods in serum.

16 The Environmental Health Lab is working on  
17 CARE data. We're expecting the environmental  
18 phenols soon -- data back soon so that we can report  
19 it to participants. We have Intraprogram Pilot  
20 Project data that should be back to us next month,  
21 and PAH data for FRESSCA-Mujeres and VOC data for  
22 the Camp Fire. They're in that data review queue as  
23 well.

24 And all of our staff are working hard to  
25 get their findings from studies out to the public

1 and EHL staff have two presentations in the queue  
2 for the Association of Public Health Laboratories  
3 and the International Society for Exposure Science  
4 Conferences that are coming up this year.

5 I just want to spend a couple of minutes  
6 before I finish talking about communications. In  
7 2023, we conducted evaluation interviews to collect  
8 feedback on how Program data and communication  
9 materials are being used outside of the Program. So  
10 we interviewed researchers, environmental health  
11 organizations, staff from State, Federal  
12 biomonitoring programs, and other California  
13 departments. And the information we collected was  
14 used to inform Program directions and also create  
15 recommendations for the 8th Legislative Report which  
16 covers from 2021 to 2023.

17 And these are the recommendations that  
18 were included in that 8th report, which is also in  
19 the queue for release, should be out in the next  
20 couple of months. These also just help inform our  
21 Program, help us focus on things that are -- that  
22 our partners are looking for in a program. And so,  
23 for example, one of the recommendations was to  
24 increase dissemination of Program materials, and we  
25 have created a new page on the website which

1 consolidates our fact sheets, newsletters, videos,  
2 and other resources in one page. And we hope this  
3 is a more accessible way to present information to  
4 the public, and we'll continue building out on this  
5 page to link more materials and additional  
6 translations.

7           And another effort is in getting our  
8 information out more readily to programs that can  
9 use it. The Safer Consumer Products Program at DTSC  
10 solicits input on potential exposures as part of the  
11 process to evaluate chemical product pairs. And in  
12 the past few months, this has included propyl and  
13 butyl paraben, as well as quaternary ammonium  
14 compounds, and we were able to submit Program data  
15 on parabens from multiple studies as well as QACs  
16 data from a recent Intraprogram Pilot study.

17           We're going to be conducting another round  
18 of interviews again with people from different  
19 programs that intersect with Biomonitoring  
20 California. And we'll use those recommendations for  
21 the 9th Legislative Report, which we're just  
22 starting to work on and again, to help us focus our  
23 Program priorities.

24           So thank you to the team that gets all  
25 this done. We have lost a couple of staff,

1 unfortunately including two of our Health  
2 Communication folks and two of our APHL fellows, but  
3 we do have new staff joining us all the time, and  
4 it's an exciting and productive time for the  
5 Program. So with that, we'll end.

6 Do I stay up here for clarifying  
7 questions?

8 ACTING CHAIR CRANOR: Thank you, Nerissa.  
9 Time for clarification questions from the  
10 Panel, and then the audience and then more  
11 substantive questions.

12 Tom?

13 PANEL MEMBER MCKONE: Well, perhaps this  
14 is -- might be more substantive, but I was curious  
15 if -- I mean, well, first of all, I think it's great  
16 that you were able to hit the ground so quickly. I  
17 mean, nobody gets an advance notice about wildfires  
18 and so you can, you know, have months to prepare for  
19 this. But you were out there figuring out what you  
20 could use to focus on the impact of the wildfires,  
21 so that's really good.

22 And, I guess, because it's pretty clear  
23 that the composition of the emissions from urban  
24 wildfires is quite different from non-urban, I  
25 wonder if there's an opportunity to tease out or try



1 to identify populations that were exposed to  
2 non-urban wildfire smoke and those to urban wildfire  
3 smoke.

4 And again, this might be a broader  
5 discussion, but that would be an interesting insight  
6 about -- like, not only the composition of the  
7 smoke, but how the composition of the smoke affects  
8 the populations that breathe that smoke.

9 NERISSA WU: I do think there is a lot of  
10 work not being done by Biomonitoring California.  
11 Our role in it would probably be the analysis of  
12 those samples, but there is quite a bit of work  
13 being planned at different universities where, I  
14 think, they are collecting a number of air  
15 monitoring points as well as biomonitoring points,  
16 so they'll be able to combine those things together  
17 and hopefully get to some of that really important  
18 information.

19 I agree; it's so important to understand  
20 how do WUI fires differ from a typical wildfire.

21 STEPHANIE JARMUL: Carl, there's a  
22 question from Jenny.

23 ACTING CHAIR CRANOR: Okay. There was a  
24 place here for further questions either from the  
25 audience, any -- any indication off -- off --

1 off-site audience have questions?

2 If not -- I'm not rushing -- we can ask  
3 for the more substantive questions from the Panel  
4 members.

5 PANEL MEMBER PADULA: I think there's two  
6 up there --

7 ACTING CHAIR CRANOR: Pardon?

8 PANEL MEMBER PADULA: There's two --

9 STEPHANIE JARMUL: You got Jenny up there  
10 and José.

11 PANEL MEMBER PADULA: Two questions  
12 online.

13 ACTING CHAIR CRANOR: Oh, two? I'm sorry.  
14 I didn't understand the sign.

15 NERISSA WU: Jenny and José have their  
16 hands up.

17 STEPHANIE JARMUL: You can invite Jenny  
18 and then José, Carl.

19 THE COURT REPORTER: If I can interrupt  
20 very quickly and I'm so sorry for the interruption,  
21 if you could just make a conscious effort to speak  
22 into the microphone, it would be very helpful.  
23 Thank you.

24 PANEL MEMBER QUINTANA: So should I speak  
25 now? I got a request --

1           STEPHANIE JARMUL: Yeah, go ahead, Jenny.

2           PANEL MEMBER QUINTANA: Hi, this is Jenny  
3 Quintana from San Diego State University, and I had  
4 a question about some of your slides where you  
5 discussed returning results to participants. And  
6 I'm just wondering, do we embed evaluation of  
7 results return and understandability typically when  
8 you -- always when you return results, or is that  
9 only on special occasions? And I was thinking of  
10 the FRESSCA study specifically.

11           NERISSA WU: We have conducted results  
12 return evaluation in a number of times. And we have  
13 another -- I think Rebecca spoke about this at our  
14 last SGP meeting about a planned evaluation of the  
15 results return materials for BiomSPHERE. And we --  
16 we're actually going to expand that to include an  
17 evaluation of the use of the DERBI platform that's  
18 put together by Silent Spring. So that's very  
19 exciting.

20           We don't do it for every round of results  
21 return. I mean, we always want feedback, but  
22 it's -- it's just a matter of how much we want to  
23 ask our participants to do. You know, it's --  
24 there's a cost there to their time and effort. But  
25 we acknowledge that it's a really important set of

1 information to get, and we're always concerned about  
2 the accessibility and understandability of the  
3 materials.

4 PANEL MEMBER QUINTANA: Yeah, I was just  
5 thinking about that if you have a population with  
6 significant and cultural or language influences,  
7 it'd be even more important to evaluate results  
8 return, which I think -- you know, I'm really  
9 impressed with Biomonitoring Californian --  
10 California results returns. You know, I -- I use  
11 that in my own work as the example of how to do it,  
12 so I -- I do think this is a really important and  
13 exciting part of this Program.

14 Thank you.

15 ACTING CHAIR CRANOR: Any other questions  
16 from offsite? Let's see.

17 PANEL MEMBER SUÁREZ: Sure. I can go  
18 next.

19 ACTING CHAIR CRANOR: Okay.

20 PANEL MEMBER SUÁREZ: So this is José  
21 Suárez from UC San Diego.

22 Nerissa, thank you for that presentation,  
23 and for the terrific work that -- that you continue  
24 doing at the Biomonitoring Program. I had a  
25 question going back to the wildfire exposures in

1 CARE.

2           Could you provide us a little bit more  
3 detail with regards to the -- the timing or how much  
4 time is elapsed between the measurement of mercury  
5 versus the actual fire event.

6           NERISSA WU: The measurement of mercury or  
7 the sample collection?

8           PANEL MEMBER SUÁREZ: Well, the sample  
9 collection.

10           NERISSA WU: Okay. Well, you can see from  
11 this slide when the fires were taking place, both in  
12 LA and in CARE-2, and in both of those cases samples  
13 were collected in February through June of -- of  
14 that -- of the following year. So it was within six  
15 months, I think -- which, Susan, actually, you  
16 probably have a better answer for this.

17           SUSAN HURLEY: Yeah, it ranges from about  
18 three to nine months.

19           NERISSA WU: Susan Hurley says three to  
20 nine months was the range.

21           PANEL MEMBER SUÁREZ: I mean, it's -- it's  
22 very interesting. Even though the -- the sample  
23 size is small, it's compelling and at least  
24 concordant with some of the other studies that you  
25 were presenting there as well with firefighters. So

1 it's interesting. So thank you -- thank you for  
2 clarifying.

3 NERISSA WU: Yeah, we would like to be  
4 able to dive deeper into that, and of course,  
5 stratify by time from sampling or time from the work  
6 that was the exposure and the work that was being  
7 done with ash and debris cleanup. We just don't  
8 have the numbers to do that, which is why a focused  
9 study that's being done in the LA County fires now  
10 will probably yield cleaner results. I mean,  
11 there -- there are lots of confounders in this data  
12 just because it wasn't the real intent of our  
13 sampling.

14 PANEL MEMBER SUÁREZ: Great. Thank you.

15 NERISSA WU: Lara -- Lara's got her hand  
16 up.

17 ACTING CHAIR CRANOR: Any other questions?

18 STEPHANIE JARMUL: Lara Cushing.

19 ACTING CHAIR CRANOR: Yes, please.

20 PANEL MEMBER CUSHING: Yeah. Hi, this is  
21 Lara Cushing. Thank you.

22 I also wanted to echo, you know, much  
23 appreciation for all the work that Biomonitoring  
24 California continues to do and that you've -- you've  
25 looked into the LA wildfires a little bit and are

1 supporting, you know, efforts to analyze samples  
2 collected by others during the wildfires just given  
3 how unprecedented that those events were in terms of  
4 scope, you know, 16,000 structures burned and the  
5 population impacted, not just population displaced  
6 or working in the fire zones but from the smoke, you  
7 know, a lot of people exposed during the fire event.

8           So I had a similar comment to José. It  
9 sounds like maybe it's not possible, but, you know,  
10 if -- if possible to do something pretty, maybe,  
11 crude, but just to add control for, you know, the  
12 time elapsed between the sample collection and the  
13 fire that occurred closest to the participant's home  
14 location, I think -- I think you have locational  
15 information. You know, maybe that would be a crude  
16 way to try to control for that a little bit, as well  
17 as diet. I don't know if you have anything on fish  
18 or seafood consumption with the mercury, but it's,  
19 kind of, curious that you -- you know, it's seen in  
20 urine but not in -- in blood as it was -- in the  
21 firefighters studies were seen in blood.

22           So those were just two suggestions if  
23 possible given the data limitations. And then I  
24 think my bigger picture comment or thought was just  
25 that it would be -- and again, I don't know if this

1 is possible, but given that, you know, the purpose  
2 of surveillance and the design of surveillance is,  
3 as you said, not very appropriate to studying these  
4 events like wildfires; nonetheless, you know,  
5 they're gonna keep happening, and it would be nice  
6 to leverage all the work that goes into this  
7 surveillance to be able to look at extreme events  
8 when they do occur.

9           So I'm curious whether it's possible to --  
10 for the, you know, surveillance work going forward,  
11 if it's going to involve recruitment, if it would  
12 make sense or be possible to include like a  
13 recontact in the IRB protocols; so for example, you  
14 know, if people participating in CARE-LA could have  
15 been recontacted to ask if they'd like to give  
16 another sample post the LA wildfires, I think that  
17 would have provided some really, possibly,  
18 compelling information.

19           So if that's possible for future  
20 surveillance, I think that might be a nice thing to  
21 build in to allow, again, the surveillance data to  
22 be leveraged to look at extreme and random  
23 hard-to-predict events like wildfires.

24           NERISSA WU: Susan, do you want to address  
25 the first part, and then I'll address the second



1 part of that?

2 SUSAN HURLEY: Sure. This is Susan Hurley  
3 from Biomonitoring California.

4 So I'm the one who took a look at the CARE  
5 data. And I'm trying to remember what your  
6 questions were.

7 The first is in terms of the timing of the  
8 exposures, you know, the timing of the sampling with  
9 respect to when the wildfires are -- I don't know  
10 that we could incorporate that into our models.

11 Was that one of your questions?

12 PANEL MEMBER CUSHING: Uh-huh.

13 SUSAN HURLEY: Okay. Because also, there  
14 were -- I assembled this list of, sort of, major  
15 wildfires in the area, but there were a lot of  
16 wildfires. And there could have been in the -- I  
17 only -- on this slide, only list, sort of, the major  
18 ones which were over a thousand acres, but there  
19 could have been a lot -- there may be other fires  
20 that are much smaller but much closer to the  
21 participant's homes that could be more relevant for  
22 exposures.

23 And so I don't think we could easily do  
24 much more with the fire data, although we have  
25 discussed possibly trying to look at residential

1 location and linking that to like plumes, the smoke  
2 plume data. So there may be something we can do  
3 there but, you know, given the sample size and the  
4 amount of effort that would be involved in doing  
5 that, we're not sure if that would be a fruitful way  
6 to go.

7           And then with -- I think you had a  
8 question about looking at some of the other --

9           NERISSA WU: Diet.

10          SUSAN HURLEY: Diet, yeah.

11          So we don't really have the power to do,  
12 you know, full on multivariate modeling. These are  
13 adjusted for income --

14          NERISSA WU: Sex.

15          SUSAN HURLEY: -- sex, and race ethnicity.

16          For CARE-LA, I did take a look to see just  
17 who cleaned up, you know, their ash, you know, sort  
18 of, characterize a bivariate, sort of, summary of  
19 who cleaned up their ash and who didn't and how they  
20 might be different.

21          And in CARE-LA, you actually -- well, in  
22 both -- both studies, women are more likely to do  
23 it. And in CARE-LA, actually the people who did the  
24 cleanup were more likely to eat fish, which is a  
25 source of methylmercury or organic mercury. And,

1 so, we could do a little bit more, I think, with the  
2 diet data, and I think we will.

3 Did that -- do those answer your  
4 questions, or did you have another question?

5 PANEL MEMBER CUSHING: (Indicating)

6 SUSAN HURLEY: Okay.

7 NERISSA WU: I'd like to respond to the  
8 part about writing in something to IRBs going  
9 forward. I think that's a great idea and something  
10 that's been brought up in these discussions before  
11 about making our consent a little broader to enable  
12 us to do recontact.

13 IRB permissions and study design are one  
14 of the hurdles for us to getting out into the field  
15 following a big event like this. So I -- it's been  
16 a few years since we've talked about this in this  
17 forum, but at one point we did talk about having an  
18 emergency response IRB which would just be in  
19 existence -- enabling us to, you know, really go out  
20 and have a consent form existing so we don't have to  
21 go through those administrative, that can be a  
22 couple months, which then you miss your window of  
23 exposure.

24 So having something like that ahead of  
25 time would -- would help us respond to some of these

1 events. And as you said, they're gonna keep  
2 happening; so as a Program, we're thinking about  
3 that. I think going back to the participants again  
4 would have been really welcome by a lot of our LA  
5 residents. So good comment, good suggestion.

6 PANEL MEMBER CUSHING: Thank you.

7 ACTING CHAIR CRANOR: Any other questions?

8 I have one -- oh, go ahead.

9 PANEL MEMBER PADULA: I just also was  
10 curious -- am I close enough?

11 STEPHANIE JARMUL: And just state your  
12 name.

13 PANEL MEMBER PADULA: Oh, I'm sorry. Amy  
14 Padula, UCSF.

15 I was also wondering which other metals  
16 were detectable kind of overall but not different  
17 between any of the groups or what other ones were  
18 examined?

19 And then also, if any other  
20 non-occupational studies are -- have found levels of  
21 mercury elevated in wildfire exposed populations?

22 NERISSA WU: We included all the metals  
23 that we measured in the model, so mercury, lead --  
24 I'm gonna have to rattle these off now.

25 PANEL MEMBER PADULA: Okay. Sorry I can

1 look this up too --

2 NERISSA WU: Arsenic, molybdenum,  
3 cadmium --

4 PANEL MEMBER PADULA: Okay.

5 NERISSA WU: -- thallium, uranium --

6 PANEL MEMBER PADULA: Okay.

7 NERISSA WU: -- manganese? I can't --

8 SUSAN HURLEY: Cobalt --

9 NERISSA WU: -- cobalt -- okay. And the  
10 other part of your question was?

11 PANEL MEMBER PADULA: If any  
12 non-occupational studies support this finding.

13 NERISSA WU: You did some lit searching on  
14 that, right?

15 Sorry.

16 PANEL MEMBER PADULA: They're probably --  
17 there may not be any studies.

18 SUSAN HURLEY: I don't recall.

19 PANEL MEMBER PADULA: Okay.

20 SUSAN HURLEY: I'm sorry.

21 PANEL MEMBER PADULA: No problem.

22 NERISSA WU: Yeah.

23 ACTING CHAIR CRANOR: In some sense, I  
24 might have a -- an analogous question:

25 When I looked at your comparison, it

1 focused on mercury. And my understanding is, with  
2 fires, there's all kinds of toxics that come out of  
3 the fires.

4 Do you have a speculation? And I guess at  
5 this point, it would just be that.

6 What else might show up if you have the  
7 time to look at it?

8 You -- you have comparisons with mercury,  
9 but what else would have been there?

10 NERISSA WU: I expected to see more of a  
11 signal with lead just knowing how much contamination  
12 there is in the LA area, which we did not see a  
13 signal with that. And I mean, I think any of the  
14 metals that are in household products. I mean,  
15 as -- as Tom was saying, you know, there's so many  
16 things different about a woodland fire. I -- I  
17 don't know a lot about the composition of houses in  
18 the LA neighborhoods compared to other places --

19 ACTING CHAIR CRANOR: Yeah.

20 NERISSA WU: -- but I would think that  
21 would be like age of homes would help you determine  
22 what things you might be looking for.

23 But certainly all of the metals, right?

24 ACTING CHAIR CRANOR: Yes. Yeah.

25 That's helpful. Yeah.

1           We have one or two minutes. Any -- any  
2 last questions? Tom?

3           PANEL MEMBER MCKONE: Tom McKone.

4           So you alluded to it, I'd just like to  
5 make it a little more explicit:

6           Is it possible to consider mercury, you  
7 know, at two times, even just a small sample, I  
8 mean, that's not a small differential, and it seems  
9 to be supported in some ways by the firefighters.

10          Is there a way to figure out first, by  
11 looking at the composition of ash, if there's  
12 mercury in the ash; but even more, where would it  
13 come from?

14          And I'm -- I'm suspicious that it could be  
15 electronic consumer products and electronics. I'm  
16 not an expert, but that might be, I mean, there  
17 might be mercury components in capacitors and other  
18 things. I doubt it's -- I don't think anyone has  
19 mercury thermometers anymore. I'm pretty sure those  
20 are gone, but there -- there could be, you know, we  
21 could do a little survey of what kind of products of  
22 what's -- whether there's mercury in phones,  
23 computers, all the electronics that's in everything  
24 now, refrigerators, stoves, they're all full of  
25 circuits that monitor everything, so...

1           NERISSA WU: I think that's beyond what  
2 CARE can do or what Biomonitoring can do, but  
3 certainly the work that's being done in LA now,  
4 where there is a lot of ash analyses being done, I  
5 would think that would be the best way of getting at  
6 that environment to human exposure piece of it.

7           So regardless of where it's coming from in  
8 your household, if you're finding it in the ash,  
9 that would -- that would help give you clues. And  
10 then maybe the second part of that would be to try  
11 to figure out where it's coming from.

12           And I hope that work is happening in LA.  
13 There's so many researchers looking at it now, so  
14 you know --

15           ACTING CHAIR CRANOR: Nerissa, thank you.

16           We need a 10-minute break. It's 1:45 to  
17 1:55.

18           STEPHANIE JARMUL: I think we have time  
19 for one more question.

20           It looks like Jenny has her hand up.

21           This is Stephanie Jarmul.

22           PANEL MEMBER QUINTANA: I hate to keep  
23 anyone from their break, but just a quick question.  
24 It seemed like this is also an issue you might  
25 pursue, maybe not for mercury but exposures to fire



1 using the STEP data where you have potential for  
2 temporal data and exposure to fires. 'Cause you  
3 have the date that they were collected, right, for  
4 the STEP study?

5 NERISSA WU: Correct. We do have the date  
6 for STEPS --

7 PANEL MEMBER QUINTANA: STEPS, sorry.

8 NERISSA WU: -- we do have -- yeah, and we  
9 do have the residential address, so we can look at  
10 environmental monitoring data for those. Not for  
11 metals though, because --

12 PANEL MEMBER QUINTANA: No, not for metal.

13 NERISSA WU: Okay. With -- I mean,  
14 yeah --

15 PANEL MEMBER QUINTANA: But for PAHs, I  
16 saw you're working on serum PAH method or, I don't  
17 know, just thinking there might be some exposures,  
18 you know, that could be looked at with that data.

19 But, thank you.

20 ACTING CHAIR CRANOR: Any -- have I missed  
21 anyone else?

22 Okay. Thank you. I have 1:46. We will  
23 reconvene in 1:56 p.m.

24 (Break taken at 1:46 p.m. to 1:58 p.m.)

25 ACTING CHAIR CRANOR: Our next speaker is

1 Emily Pennoyer.

2 Please go ahead.

3 EMILY PENNOYER: Thank you so much I'll  
4 just share my screen here.

5 (Slide presentation)

6 EMILY PENNOYER: And can you hear my audio  
7 okay on Zoom and those in the room?

8 Okay. Great.

9 Well, thank you. My name is Emily  
10 Pennoyer. I currently work as a toxicologist for  
11 the Maine CDC, but I will be presenting today work  
12 that I conducted during my doctorate at Boston  
13 University School of Public Health.

14 So I will get started here. I will be  
15 presenting today some of the work that we have been  
16 doing on the CARE study along with several  
17 collaborators at Biomonitoring California. My  
18 co-authors and I have no conflicts of interest to  
19 disclose.

20 So the CARE study, as some folks may be  
21 familiar, was designed by Biomonitoring California  
22 as a series of cross-sectional studies measuring  
23 environmental chemicals in California adults living  
24 in three regions in Southern and Eastern California.  
25 Participants were recruited sequentially in three

1 phases during 2018 to 2020 and recruitment was done  
2 using a convenience sampling approach with applied  
3 quotas by subregion, gender and race and ethnicity  
4 to improve representation of the underlying  
5 population.

6 CARE-LA included 430 adults from Los  
7 Angeles County recruited in 2018. CARE-2 included  
8 359 adults from Riverside, San Bernardino, Imperial,  
9 Mono and Inyo Counties recruited in 2019. And  
10 CARE-3 collected samples from 90 adults in San Diego  
11 and Orange Counties in 2020, though the full  
12 recruitment from CARE-3 was not completed due to  
13 COVID-19. Serum was collected and analyzed for 12  
14 PFAS from 879 participants. Personal demographics  
15 and residential addresses were collected using  
16 survey questionnaires.

17 People can be exposed to PFAS from  
18 multiple sources. Ingestion of contaminated food  
19 and water are two of the best studied routes of  
20 exposure. The majority of studies in the US have  
21 focused on legacy PFAS in water supplies,  
22 particularly in populations where drinking water  
23 supplies have been heavily contaminated, for  
24 example, private wells impacted by a nearby  
25 fluorochemical facility. Studies have shown

1 significant associations between concentrations in  
2 private well water and concentrations measured in  
3 serum providing evidence to support a linear  
4 relationship between PFAS in drinking water and  
5 serum.

6 PFAS used in indoor material like  
7 carpeting and furniture can migrate into dust which  
8 can be unintentionally ingested. Some PFAS have  
9 been measured in cosmetics and may have the  
10 potential to be absorbed through skin. And people  
11 can also be exposed indirectly through inhalation of  
12 precursor compounds that can break down to form  
13 legacy PFAS, as well as other sources that are less  
14 understood. But while several exposure pathways  
15 have been identified, the extent to which people are  
16 exposed from different sources, is not known.

17 The general population can be exposed to  
18 PFAS in drinking water supplies as well, which has  
19 been linked to nearby wastewater treatment plants,  
20 airports, military training areas, and industrial  
21 facilities that use PFAS in their processes. This  
22 map shows the detection of PFAS in public drinking  
23 water supplies serving over 16 million US residents.  
24 The data shown here were collected in 2013 to 2015  
25 as part of the EPA's Third Unregulated Contaminant

1 Monitoring Rule; it's also called UCMR 3.

2           Human exposure studies in the general  
3 population, including the nationwide Nurses Health  
4 Study and the California Teacher's Study suggest  
5 relatively low levels of legacy PFAS in drinking  
6 water can lead to elevated levels in serum. In  
7 these populations, large exposure sources are not  
8 known or have not been documented.

9           People can also be exposed to PFAS through  
10 their diet. PFAS used in grease repellent packaging  
11 can migrate into foods. Foods can become  
12 contaminated when grown in soils that are amended  
13 with residuals from sewage sludge also called  
14 biosolids. Contaminated crops used as feed for  
15 livestock can result in elevated concentrations in  
16 cattle and dairy products. The contaminated fields  
17 can also result in elevated concentrations in  
18 chicken eggs and other agricultural products. And  
19 some PFAS can bioaccumulate in fish and shellfish.

20           The traditional approach used in exposure  
21 assessment relates the concentrations of PFAS  
22 measured in food, water, dust samples with internal  
23 levels estimated in blood usually in an estimated  
24 daily dose like a nanogram per kilogram body weight  
25 per day. Studies using this approach in Europe and

1 Canada estimate diet to be the major source of  
2 exposure in the general population; however, much of  
3 the existing data on dietary exposures come from  
4 Europe and can't be easily applied to the US due to  
5 differences in dietary habits.

6           Also the timing of when samples were taken  
7 is important because levels found in food and water  
8 reflect chemical production from that time period.  
9 Many studies on diet are from several years ago, and  
10 PFAS production has changed dramatically in the last  
11 two decades. There is limited data available on  
12 levels of PFAS in foods in the US with the exception  
13 of seafood, but even these data are quite scarce.

14           So in absence of these data, we can use an  
15 alternative approach that combines biomonitoring  
16 data which measures PFAS in serum directly with  
17 questionnaires on potential exposures. This  
18 approach uses epidemiological methods and regression  
19 to estimate differences in exposure from various  
20 sources and can provide insights into dietary  
21 consumption patterns that are associated with  
22 increased serum PFAS and ultimately help identify  
23 potential opportunities to reduce exposure.

24           Cross-sectional studies in the US using  
25 this approach have linked serum concentration to

1 increased consumption of animal products and certain  
2 packaged foods, but many of these types of dietary  
3 studies have relied on older biomonitoring data  
4 which may not reflect more recent changes in PFAS  
5 production and do not account for contributions from  
6 drinking water or potential confounding from other  
7 sources.

8           To our knowledge, no study has used the  
9 epidemiological approach to assess contributions  
10 from diet and water simultaneously. So using data  
11 collected in CARE, our goal was to characterize PFAS  
12 body burden in the CARE population and estimate the  
13 relationship between serum PFAS with diet and  
14 drinking water.

15           Participants in CARE completed food  
16 frequency questionnaires prior to serum collection,  
17 and they were asked how many times in a typical week  
18 they eat different types of foods. These  
19 questionnaires were typically completed within three  
20 weeks prior to serum collection.

21           To assess drinking water exposure,  
22 finished drinking water data from UCMR 3 were linked  
23 to residential addresses of CARE participants using  
24 the polygon feature layer which was developed by the  
25 State Water Resources Control Board. For the

1 purpose of this analysis, drinking water exposure  
2 was characterized using a binary variable based on  
3 whether or not an analyte in UCMR 3 was detected  
4 above the reporting level. This is different from  
5 some other CARE analyses; for example, Toki Fillman  
6 is using the CARE data in conjunction with the  
7 California Water Board PFAS Monitoring data from  
8 source wells.

9           So there are some important differences  
10 between the UCMR 3 data used in this analysis and  
11 the California Water Board Data. UCMR 3 monitoring  
12 was from finished water, while the Water Board  
13 sampling focused primarily on source wells, which is  
14 untreated, though they did have some samples that  
15 included treated water. The UCMR 3 data included  
16 all public water systems serving over 10,000 people  
17 while the Water Board Monitoring focused on areas  
18 with known or suspected PFAS contamination, for  
19 example, wells near potential sources like airports,  
20 landfills, and military facilities, or those that  
21 had detections previously from UCMR 3. The  
22 California Water Board data also has 10 times lower  
23 reporting limits than UCMR 3 and analyzed a much  
24 broader range of PFAS.

25           And just lastly, the availability of water



1 data overlapping with CARE participants resulted in  
2 slightly different sample sizes. So this analysis  
3 had 700 participants, Toki's analysis has 563.

4           In our analysis, our goal was to estimate  
5 the causal relationship between two exposures, diet  
6 and water, and levels of PFAS in serum, such that  
7 intervening on an exposure, would lead to a  
8 reduction in serum concentration. We used robust  
9 linear regression to model the additive relationship  
10 between multiple exposures and nontransformed serum  
11 concentrations.

12           Unlike the traditional approach that uses  
13 log transformation to address issues with skewed  
14 data, which is typical in environmental data, robust  
15 regression down-weights extreme values to relax the  
16 assumptions of regression. We chose not to log  
17 transform serum concentrations because this imposes  
18 an exponential dose-response relationship between  
19 the exposure variables and serum.

20           Robust regression allows us to model the  
21 linear additive relationship that's been shown to  
22 exist between exposures and serum at steady state  
23 concentrations. This also means that our results,  
24 the beta coefficients, are reported in absolute  
25 terms, the nanogram per milliliter increase in serum

1 per change in exposure rather than the relative  
2 percent difference that is generated from a log  
3 linear model after exponentiation.

4           And lastly, the covariates in our analysis  
5 were selected using a directed acyclic graph, also  
6 known as a DAG. A DAG is a diagram used in  
7 epidemiology to describe the causal relationships  
8 between variables, informed by what we know from the  
9 literature, and to identify potential confounders.  
10 So the potential confounders in this analysis were  
11 identified if they influenced exposure and acted as  
12 predictors of PFAS concentrations in serum.

13           There were 700 CARE participants with  
14 complete serum and survey data that successfully  
15 matched to public water systems monitored in UCMR 3.  
16 When possible, we used imputed demographic data for  
17 any missing observations. About 60% of the study  
18 participants were female. Most participants had  
19 completed some education above high school, and the  
20 majority of participants were either Hispanic or  
21 Latino or White.

22           Serum was analyzed for 12 PFAS by the  
23 Environmental Chemistry Laboratory at DTSC. Seven  
24 PFAS were detected in 65% or more of participants  
25 and included in our analysis. The box plots on the

1 right show the distribution of the seven PFAS  
2 analytes in serum, each of those analytes is listed  
3 along the x-axis, and the concentration of each  
4 analyte is on the y-axis. You'll notice this is a  
5 log scale. The horizontal bars on each of these  
6 boxes represents the median concentrations. The  
7 highest median concentrations in our study was  
8 observed for PFOS and PFOA, though in general, serum  
9 concentrations in CARE were somewhat lower than  
10 those reported in the general US population based on  
11 data from a similar time period.

12 Four of the six PFAS measured in water  
13 supplies under UCMR 3, overlapped with the PFAS  
14 included in our analysis. I've listed those here,  
15 PFOA, PFOS, PFHxS, and PFNA. And the minimum  
16 reporting levels for these PFAS ranged from 20 to 40  
17 parts per trillion. PFOA and PFOS were detected  
18 most frequently, and about 8% of participants had at  
19 least one of these four compounds detected above the  
20 reporting level in their drinking water supplies.  
21 No water supplies in CARE, that were monitored in  
22 UCMR 3 data had detectable levels of PFNA.

23 The California Water Boards monitored a  
24 larger suite of PFAS in source wells and at lower  
25 reporting limits. But for the PFAS shown here, the

1 minimum reporting level for the source wells was  
2 4 parts per trillion. And as indicated on the  
3 right, the lower reporting limits resulted in much  
4 higher detection frequencies for these four PFAS  
5 using those data.

6           This figure shows the average frequency  
7 that participants report eating foods in a typical  
8 week with the number of times consumed per week on  
9 the x-axis and the different food groups in our  
10 analysis on the y-axis. Categorical survey  
11 responses from the exposure surveys were converted  
12 to a continuous numerical variable for our analysis.

13           Seafood here includes fish and shellfish.  
14 Dairy includes milk and butter. These are  
15 consumption frequencies, but they do not take into  
16 account how much of each food was consumed because  
17 portion size was not asked about in the survey. Our  
18 results showed positive associations between serum  
19 levels and PFOA and PFHxS in drinking water. We  
20 also saw significant positive associations between  
21 levels of PFAS in serum and consumption of seafood,  
22 eggs, as well as brown rice. We observed other  
23 positive nonsignificant effects for PFOS, P-F-O-S,  
24 including red meat and dairy; and unexpectedly, we  
25 observed significant negative associations between

1 some PFAS and heat-at-home foods. These were  
2 described as store-bought food that you heat in its  
3 paper or cardboard package. So CARE participants  
4 were given examples such as pizza, frozen meals, and  
5 garlic bread.

6           These are the beta efficient -- sorry --  
7 the beta estimates from the robust regression for  
8 dietary effects that were highlighted in the  
9 previous slide. This is showing the change in serum  
10 PFAS per weekly meal consumed. Again, these reflect  
11 the absolute difference in nanograms per milliliter  
12 associated with exposure. These methods prevent  
13 direct comparison between our beta coefficients and  
14 those from studies that log transformed serum  
15 concentrations, but, qualitatively, several of the  
16 patterns we observed were consistent with previous  
17 studies including significant associations between  
18 seafood and long-chain carboxylic acids as well as  
19 egg consumption.

20           The positive associations for PFOS, while  
21 not significant, are also consistent qualitatively  
22 with studies that have shown positive associations  
23 between serum PFOS and consumption of animal  
24 products. We do not think that the heat-at-home  
25 foods are causing a reduction in serum PFAS, as the

negative beta coefficients here would suggest; instead, we suspect there may be residual confounding related to packaged heated foods and serum PFAS, perhaps through some socioeconomic factor not adequately controlled for in our analysis. So unlike other environmental pollutants, people of higher socioeconomic status typically have higher serum levels thought to be related to consumer product use. Now, this is just one hypothesis we have that might help explain the negative associations that we see.

CARE participants with detectable PFOA and PFHxS in drinking water showed higher serum levels of these PFAS compared to those without, with the most significant increase seen for PFHxS, which was 0.64 nanograms per milliliter higher on average for those with detectable levels in their water. And I will add a note that Toki's analysis using the California Water Board data also showed the greatest effect for PFHxS.

Overall, our study quantified PFAS exposure in the CARE population and identified possible sources and behaviors associated with increased PFAS body burden, specifically drinking water being identified as a source of exposure to

1 PFOA and PFHxS, which provides further evidence that  
2 relatively low levels of PFAS in public drinking  
3 water contribute to PFAS body burden.

4           Diet may influence certain PFAS in serum  
5 like those effects seen for PFNA, PFUnDA, PFDeA, and  
6 Me-PFOSA-AcOH, but based on studies that suggest  
7 diet is a major source of exposure, we expected to  
8 see more positive associations between PFAS and  
9 foods. This could partly be due to shifts in PFAS  
10 production leading to lower concentrations of legacy  
11 PFAS in foods. We don't have conclusive data to  
12 understand how levels of PFAS in the US foods have  
13 changed, but we do know that legacy PFAS like PFOS  
14 and PFOA, are no longer being used in food contact  
15 materials, and this would likely lead to lower  
16 levels in foods.

17           The FDA only started measuring PFAS in a  
18 subset of total diet study samples in 2019, but  
19 recent results from store-bought seafood and  
20 processed foods have shown limited detections of  
21 PFAS. And of the foods with detectable levels,  
22 concentrations are several-fold lower than foods  
23 analyzed in the 1990s from the Canadian Total Diet  
24 Study. So while these data are limited, they could  
25 suggest declining levels of legacy PFAS in foods

1 over the last 20 years.

2           As strengths of this work, we had a large  
3 diverse general study population and recent  
4 biomonitoring data collected in CARE. Other  
5 strengths include using robust methods to estimate  
6 effects of PFAS body burden from multiple sources of  
7 exposure and using information from the literature  
8 to guide our thinking around the selection of model  
9 covariates. The CARE study also includes data on  
10 compounds like PFDeA and PFUnDA, which are not  
11 always included in biomonitoring studies.

12           This work also had several limitations.  
13 Our assessment of diet was semi-quantitative, and we  
14 know that food frequency questionnaires can  
15 introduce error associated with self-reported food  
16 consumption. The high reporting limits for UCMR 3  
17 were also a major limitation, and contributions from  
18 drinking water at lower levels of exposure could not  
19 be assessed in this work. But, hopefully, Toki's  
20 work using the Water Board's data will address this  
21 at least partially.

22           The high reporting limits and low  
23 detection frequency in this study led us to  
24 categorize drinking water exposure into a  
25 detect/non-detect variable which may also have



1 introduced exposure misclassification. As mentioned  
2 earlier, we cannot rule out the possibility for  
3 residual confounding from other exposures like  
4 indoor exposures, but we did try to reduce this by  
5 controlling for factors that link indoor exposures  
6 and diet and water. Lastly, this data used -- this  
7 analysis used unweighted data, and therefore may not  
8 be generalizable to the larger population.

9           With that, I would like to thank my  
10 co-authors and collaborators, Dr. Wendy  
11 Heiger-Bernays and Dr. Tom Webster from Boston  
12 University, as well as the staff at Biomonitoring  
13 California and the CARE study participants and our  
14 colleagues at DTSC for all of their great work in  
15 the laboratory.

16           Thank you so much.

17           ACTING CHAIR CRANOR: Time for  
18 clarification questions from the Panel.

19           I saw Tom's hand.

20           PANEL MEMBER MCKONE: I'm Tom McKone,  
21 University of California Berkeley.

22           Thank you. That was really interesting  
23 work. Congratulations on finishing it and being  
24 able to present it.

25           I just want a little clarification: I

1 think the way you did this is really effective. I'm  
2 not trying to get too quantitative because then we  
3 get into all these issues of how much food people  
4 eat and start multiplying numbers by numbers you  
5 don't know, so I think it's more powerful just  
6 showing the relationships. And I think you alluded  
7 to it, I'm just curious about some of the  
8 relationships between food and drinking water,  
9 because a lot of foods we prepare, you know, use the  
10 tap water like when you make rice and pasta, even  
11 some vegetables, a lot of things we make at home, we  
12 add water. And I know it kind of shows up, I don't  
13 know if you went into that more deeply about how the  
14 use of water in preparation affects the relationship  
15 between drinking water levels and food intake.

16 EMILY PENNOYER: Yeah, we did consider  
17 this in a few different elements of our analysis.  
18 First, you know, is our measure of -- the effect of  
19 water in food preparation being accounted for in our  
20 measurement of water that was linked to the UCMR 3  
21 data. But we also looked at this through a number  
22 of sensitivity analysis to see, you know, how our  
23 results maybe would look different if we modeled the  
24 effects of food without including water in our  
25 model, and vice versa, if we modeled the effect of

1 water without accounting for food preparation.

2           The results of those sensitivity analyses  
3 didn't show major differences in our beta estimates  
4 for most of the analytes that we looked at, which to  
5 us would suggest that, you know, those two sources  
6 are not confounding each other. There may be other  
7 ways that we could look at this. I think,  
8 particularly, if we had data like Toki's that --  
9 rather than a more crude estimate of exposure with  
10 detect and non-detect, there may be more  
11 opportunities to -- to suss that out a little bit  
12 more.

13           Does that answer your question?

14           PANEL MEMBER MCKONE: Yes. Very good.  
15 No, I think that's a very effective way -- the  
16 sensitivity analysis is a really -- I mean, in my  
17 mind, a really useful way to see if there is an  
18 effect: just do with and without and different --  
19 different options and see if it makes a difference.  
20 So that's good. Thank you.

21           ACTING CHAIR CRANOR: Other clarification  
22 questions?

23           Amy?

24           PANEL MEMBER PADULA: Actually, maybe it's  
25 more substantive so, it can wait for other

1 clarification questions.

2 ACTING CHAIR CRANOR: We have a fuzzy  
3 line.

4 PANEL MEMBER PADULA: Okay. Thank you,  
5 Emily. This is really interesting work.

6 I was also wondering, given the low -- or  
7 I guess the high reporting limits for UCMR 3, I was  
8 wondering if you had any plans to access the UCMR 5  
9 data.

10 PANEL MEMBER PADULA: (Indiscernible)

11 PANEL MEMBER PADULA: Sorry. And I forgot  
12 to say my name. Okay. Amy Padula. Rewind.

13 Great job, Emily. I was wondering if you  
14 were planning to examine the UCMR 5 data, which is,  
15 I guess, still in the process of coming out, but  
16 some of it is available to verify some of the UCMR 3  
17 data and have lower detection limits, if there are  
18 more sensitivity analyses in your future or perhaps  
19 maybe for another study?

20 EMILY PENNOYER: Yeah, we did take a look  
21 at the UCMR 5 data to see how much of the available  
22 data overlapped with the CARE participants. As you  
23 noted, that data is still coming out, so it's not  
24 complete. But our larger concern was around the  
25 timing of the UCMR 5 data collection. Since UCMR 3

1 and the serum collection for CARE, there have been  
2 many events in California that may have impacted  
3 water concentrations. Some of those include orders  
4 that went into effect concurrent or after serum  
5 collection around notification levels, so it was  
6 more a question of the temporality with the UCMR 5  
7 data that it's likely that those levels are no  
8 longer reflective of what CARE participants were  
9 drinking in the years leading up to serum  
10 collection.

11           Although, it would have been nice to have  
12 some data to cross-reference with lower reporting  
13 limits, though future analyses, hopefully, will be  
14 able to use that you UCMR 5 data for analyses  
15 similar to ours.

16           ACTING CHAIR CRANOR: Other questions  
17 beyond clarification?

18           STEPHANIE JARMUL: Actually -- this is  
19 Stephanie Jarmul. I have a clarifying question.

20           When you asked about seafood consumption,  
21 did you differentiate between shellfish and general  
22 fish?

23           EMILY PENNOYER: There were differences  
24 across the CARE regions in how participants were  
25 asked about their seafood consumption. Some

1 participants were asked more specifically about  
2 freshwater fish -- or sorry -- self-caught fish  
3 versus store-bought fish, and differences in seafood  
4 combined versus shellfish. And I think that  
5 Nerissa, in the room, might have a few more details  
6 on the specifics of those questionnaires, of which  
7 ones were asked, which questions; but for the  
8 purpose of being able to harmonize the food  
9 frequency questionnaires across all three study  
10 regions, we decided to combine shellfish and seafood  
11 to match the participants that weren't asked to  
12 differentiate.

13 STEPHANIE JARMUL: Thank you.

14 PANEL MEMBER PADULA: Lara has a question.

15 ACTING CHAIR CRANOR: Oh, up there.

16 Question?

17 PANEL MEMBER CUSHING: Hi. Lara Cushing,  
18 UCLA.

19 Great presentation, Emily. Really  
20 interesting. I had a quick question about  
21 whether --

22 ACTING CHAIR CRANOR: Can you speak closer  
23 to the mic? You're kind of quiet.

24 PANEL MEMBER CUSHING: Oh. Can you hear  
25 me now?

1           ACTING CHAIR CRANOR: I can a little  
2 better.

3           STEPHANIE JARMUL: That's better. Thank  
4 you.

5           PANEL MEMBER CUSHING: Should I start  
6 over?

7           STEPHANIE JARMUL: Yes.

8           PANEL MEMBER CUSHING: Okay.

9           Lara Cushing. Great presentation, Emily.

10          I was wondering whether there was a  
11 question about bottled water usage?

12          EMILY PENNOYER: Yeah, participants --  
13 sorry, go ahead. Was there another part of the  
14 question.

15          PANEL MEMBER CUSHING: (Indicating)

16          EMILY PENNOYER: Participants were asked  
17 about their drinking water source, and bottled water  
18 was one of the options. And -- is that my sound  
19 coming in?

20          PANEL MEMBER PADULA: No.

21          EMILY PENNOYER: Okay. So people were  
22 able to respond whether they used public water  
23 supplies, private wells, and bottled water  
24 consumption. We limited our analysis to everyone on  
25 public water supplies. We did not take into account

1 the amount of bottled water consumption. So we were  
2 really just looking at detect and non-detect of the  
3 public water coming into their home. But that's an  
4 important consideration. I think if you were to go  
5 look at bottled water consumption, there might be,  
6 you know, more beyond the scope of what we were  
7 doing in our study that would be interesting to look  
8 at.

9 PANEL MEMBER CUSHING: So just to make  
10 sure I understood you correctly. People who said --  
11 who reported drinking bottled water, were excluded  
12 from your analysis?

13 EMILY PENNOYER: No. People who reported  
14 having a private well were excluded from the  
15 analysis.

16 PANEL MEMBER CUSHING: I see.

17 EMILY PENNOYER: But if they were -- if  
18 their house was served by a public water supply,  
19 they were included. Any additional stratification  
20 based on tap water versus bottled water consumption  
21 was not considered.

22 PANEL MEMBER CUSHING: I see. Okay.  
23 Thanks.

24 STEPHANIE JARMUL: We have Toki online  
25 too, who I think also wants to say something.



1 TOKI FILLMAN: Hello. Can everyone hear  
2 me?

3 STEPHANIE JARMUL: Yes.

4 TOKI FILLMAN: Great. Toki Fillman from  
5 Biomonitoring California.

6 And as Emily mentioned, I -- we carried  
7 out, kind of, a parallel study focusing on the CARE  
8 study participants using the exposure to drinking  
9 water and associations with serum using the  
10 California Water Board's data.

11 And I just wanted to add regarding the  
12 bottled water question, that there is just over  
13 around 40% of CARE participants who report drinking  
14 primarily bottled water. But in our analysis, when  
15 we stratified participants by people who primarily  
16 drink tap water versus people who primarily do not  
17 drink tap water, which is mostly bottled water, we  
18 found that the association for PFHxS was stronger  
19 among people who report primarily drinking tap  
20 water, suggesting that this effect is indeed from --  
21 from tap water.

22 Thank you.

23 ACTING CHAIR CRANOR: Any other questions?

24 We can invite clarification questions, but  
25 also more substantive questions if you have them.

1           STEPHANIE JARMUL: Nothing from the  
2 audience at the moment.

3           ACTING CHAIR CRANOR: Tom.

4           PANEL MEMBER MCKONE: I wanted to expand a  
5 little bit more on the water source question.

6           And I don't know if -- I mean, I know a  
7 lot of people have filters, or refrigerators now  
8 come with filters, almost standard, the activated  
9 carbon filters. I don't know how much they pull  
10 out, the PFAS-type compounds. And that's a hard  
11 question to ask, but if -- I'm guessing if people  
12 get a lot of their water from filtered sources, or  
13 if they have a filter on their sink, that means --  
14 and again, I don't know the efficiency of these  
15 filters for removing these compounds, but it might  
16 be an interesting follow-up, something to look at in  
17 terms of how many households could be removing the  
18 PFAS-type compounds with their filtering system.

19           EMILY PENNOYER: Yes, and I don't know the  
20 range of efficiencies of those different types of  
21 filtration. You know, countertop, under sink,  
22 refrigerator, some of them are very effective at  
23 removing PFAS. I think your question is right, that  
24 would be a hard thing to assess with this data based  
25 on the type of -- you know, given that so many of

1 those filters are out there, and their efficiencies  
2 can range. But it is certainly something worth  
3 considering.

4 PANEL MEMBER SUÁREZ: Hi, I have a  
5 question. Very nice presentation. Very interesting  
6 findings. Actually, two questions.

7 So for the take-out group, looks -- I'm  
8 assuming that you did not find any associations,  
9 right, with -- with any of the PFAS measured --

10 EMILY PENNOYER: For the take-out, we did  
11 not find significant associations with take-out, but  
12 we did see associations -- negative associations  
13 with the packaged heated food.

14 PANEL MEMBER SUÁREZ: Negative  
15 associations?

16 EMILY PENNOYER: Yes.

17 PANEL MEMBER SUÁREZ: Okay. Well, I mean,  
18 a lot of it -- a lot of the PFAS have been phased  
19 out since, what, 2016-2017, somewhere around there.  
20 So, and the -- other than the short-chain PFAS,  
21 which you don't have any measures for, which would  
22 be very interesting to --

23 EMILY PENNOYER: Uh-huh.

24 PANEL MEMBER SUÁREZ: And then jumping  
25 into the heat-at-home. Right, so the negative

1 associations, I think you're mainly thinking this is  
2 more a residual confounding -- or -- or a construct  
3 of socioeconomic status, I'm guessing.

4 Do you know what other socioeconomic  
5 constructs that may be available for you to dig in a  
6 little bit deeper?

7 EMILY PENNOYER: Yeah. I think that the  
8 potential for confounding that we're looking at --  
9 you know, our thinking is that we have, perhaps, an  
10 imperfect measure of socioeconomic status. We're  
11 using education and income as proxies. We also know  
12 that education and income are imperfect proxies.  
13 There's the, you know, overeducated underpaid, you  
14 know, associations that exist for folks. So it may  
15 be that there are, you know, additional  
16 socioeconomic differences that are not adequately  
17 controlled for with the variables that we have.

18 It's also, perhaps, worth noting that, you  
19 know, in these exposure surveys, income can often  
20 be, you know, misreported or not reported at all.  
21 We used imputed data for those observations when we  
22 could, but it's possible that the methods that we  
23 were using to, you know, ensure complete data set  
24 were imperfectly controlling for the real true  
25 differences in socioeconomic status.

1           So that doesn't answer your direct  
2 question about what else not included in our  
3 analysis might we consider. I would have to think  
4 on that little more to see, well, what other data  
5 would we want to have to make sure that, you know,  
6 the association that we're trying to measure here is  
7 adequately controlled for.

8           PANEL MEMBER SUÁREZ: Okay. So I'm just  
9 looking at your slide here. You're saying that you  
10 did adjust for -- for income in the --

11          EMILY PENNOYER: We did.

12          PANEL MEMBER SUÁREZ: In the slide, it  
13 doesn't list it, but maybe it's just an omission  
14 there.

15          EMILY PENNOYER: I'll double-check that to  
16 make sure that the correct information is available  
17 for the slides that are posted.

18          PANEL MEMBER SUÁREZ: Okay. All right.  
19 So interesting for -- for the income. I just lost  
20 my train of thought there.

21          Oh, yeah, so for -- I mean, it will be  
22 interesting to see what other data is available, if  
23 there's housing -- other types of housing data,  
24 owning, renting, or what type of housing that you  
25 may be able to create some sort of factor analyses

1 about housing situations --

2 EMILY PENNOYER: Yeah.

3 PANEL MEMBER SUÁREZ: -- in relation to  
4 income.

5 EMILY PENNOYER: Yeah. There have been  
6 some interesting studies looking at, you know,  
7 housing, year, as well as cleaning habits in the  
8 home, you know, mopping and dusting.

9 I think another consideration we had to  
10 work with, with this model, we had lots of  
11 covariates and, you know, running into challenges of  
12 potentially including too many covariates in a  
13 model. Especially considering, you know, the size  
14 of some of our groups of people with water  
15 detections and ensuring we had enough, you know,  
16 power to be able to do that; not to mention that the  
17 robust models, sort, of runs in this iterative  
18 process.

19 And some of the challenges of working with  
20 the specific model we use is -- particularly when  
21 there are lots of covariates in the model, so  
22 thinking a little bit harder on future analyses, you  
23 know, to adjust for those socioeconomic differences,  
24 yeah, I think will be really informative for this  
25 work moving forward.

1           PANEL MEMBER SUÁREZ: Yeah, I think so. I  
2 mean, there's different ways, right, you can create  
3 indices, or a construct, in this case of housing,  
4 for example, or some sort of a construct for  
5 socioeconomic status that may incorporate, like  
6 through factor analyses or something related to  
7 that, you can incorporate the scores of different  
8 related variables. And then you're adding, really,  
9 one more covariate to that.

10           Very interesting. I mean, it's important  
11 to dig in a little deeper with the heat-at-home  
12 because probably the heat is not introducing PFAS  
13 into the air and they're inhaling it or something  
14 like that. It's --

15           EMILY PENNOYER: Yeah.

16           PANEL MEMBER SUÁREZ: I think -- I think  
17 you're right. I think it's probably more of a  
18 socioeconomic construct, but important to dig in a  
19 little deeper if you have --

20           EMILY PENNOYER: Yeah.

21           PANEL MEMBER SUÁREZ: -- you know.

22           EMILY PENNOYER: Yeah.

23           PANEL MEMBER SUÁREZ: Very interesting  
24 presentation.

25           EMILY PENNOYER: Thank you so much.

1           ACTING CHAIR CRANOR: We have about  
2 10 minutes for questions. Comment?

3           STEPHANIE JARMUL: Go ahead, Lara.

4           PANEL MEMBER CUSHING: Sorry, this is Lara  
5 Cushing again. Are we in the constructive -- are we  
6 in the clarifying question section or the --

7           STEPHANIE JARMUL: Any question.

8           ACTING CHAIR CRANOR: We take anything  
9 now.

10          PANEL MEMBER CUSHING: Okay.

11          ACTING CHAIR CRANOR: Try to keep your  
12 questions, maybe, a bit shorter. We have about  
13 10 minutes before our next speaker.

14          PANEL MEMBER CUSHING: Okay. Great. I --  
15 I was just curious about -- it looked like -- if I  
16 understood correctly, you know, maybe 20% of  
17 participants were excluded because of missing data  
18 from your analysis. And if -- I guess, I'm just  
19 curious, like, how their PFAS levels looked compared  
20 to the ones that you did include in your analysis.  
21 And I'm just thinking, you know, about the drinking  
22 water, if -- because UCMR 3 doesn't require every  
23 system to test, and smaller water systems have  
24 less -- often have higher contaminant concentrations  
25 of different contaminants, not necessarily PFAS but



1 other things. You know, if this -- if there's  
2 anything we can say about -- or you might be able to  
3 say about the -- the ones with missing data on  
4 drinking water levels so that we're not, just, kind  
5 of, assuming, you know, there was no data so there's  
6 no problem and these folks don't have measurable  
7 PFAS.

8           EMILY PENNOYER: Yeah. And I -- Toki  
9 might be able to chime in at the end of this, if she  
10 wants to add anything.

11           We did look at the -- the characteristics  
12 of the study participants, the 879 participants and  
13 the 700 that we included. So the -- the  
14 participants themselves in those studies were -- in  
15 those two groups were very similar. I say that just  
16 to point to, you know, we're not expecting the  
17 subset of folks that we've included in our analysis  
18 to bias our estimates. But, to your point, the  
19 results that we're looking at may not necessarily be  
20 generalizable to people in smaller water systems  
21 that we didn't have data on.

22           I don't know, off the top of my head, how  
23 the distribution of PFAS in smaller versus larger  
24 water systems, how those play out. I think that  
25 key -- key factors to that are going to be proximity

1 to nearby sources, so airports, we think of being  
2 near larger water systems that may not be impacting  
3 a smaller water system, but there are other sources  
4 that, you know, might be influential that the  
5 smaller system, not included in our study, could  
6 still be significant.

7           So I don't know, off the top of my head,  
8 with that dynamic is. But, and, it may --

9           STEPHANIE JARMUL: We do have Toki.

10           EMILY PENNOYER: -- be different from  
11 state to state.

12           STEPHANIE JARMUL: Yeah. We do have Toki,  
13 who I think also wants to provide comment.

14           EMILY PENNOYER: Thank you.

15           TOKI FILLMAN: Hi, this is --

16           ACTING CHAIR CRANOR: 5 more minutes --

17           TOKI FILLMAN: -- Toki Fillman again  
18 from --

19           ACTING CHAIR CRANOR: -- any question.

20           TOKI FILLMAN: -- Biomonitoring  
21 California.

22           To address that question a bit, so as  
23 Emily mentioned in her presentation, she -- her  
24 study includes 700 participants, ours included 563.  
25 But there's actually a lot of overlap between our

1 studies and -- and also the -- the water systems  
2 that the participants were matched to tend to be, as  
3 you mentioned, larger water systems.

4           So in our work, we also did compare the  
5 serum PFAS concentrations of the participants  
6 included in -- in the study and the participants  
7 excluded who would be -- would be matched to smaller  
8 water systems. And the overall serum PFAS  
9 concentrations were actually pretty similar between  
10 the groups.

11           EMILY PENNOYER: Thank you for adding  
12 that, Toki.

13           STEPHANIE JARMUL: We have one more  
14 comment from the room.

15           DINA DOBRACA: This is Dina Dobraca,  
16 Biomonitoring California staff member.

17           It's not applicable to this study, but  
18 UCMR 5 released the January data update earlier this  
19 year that accounts for about two-thirds of UCMR 5  
20 data. And they have one table in that data update  
21 which addresses PFASs with a maximum contaminant  
22 level, so it would be PFOA, PFOS, PFHxS, PFNA, and  
23 then they have this, like, composite variable. And  
24 they stratify that table by large and small water  
25 systems within UCMR 5, and they found that there was

1 a higher proportion above the maximum contaminant  
2 level for PFOA, PFOS, PFHxS, with the flip for PFNA.  
3 At least for, you know, UCMR 5 data.

4 ACTING CHAIR CRANOR: Any last questions?

5 We have a few minutes, a couple of  
6 minutes, and then our next speaker.

7 STEPHANIE JARMUL: Nothing from the  
8 attendees online.

9 I think we can go ahead and move on to  
10 Wendy if there's no other questions.

11 ACTING CHAIR CRANOR: Go onto the next  
12 speaker?

13 STEPHANIE JARMUL: Yeah.

14 ACTING CHAIR CRANOR: Okay.

15 Next speaker is Wendy Link; she is a  
16 Senior Engineering Geologist in the Division of  
17 Water Quality in the State Water Resources Control  
18 Board. She is managing the State Water Board's  
19 response to the PFAS efforts in the Division of  
20 Water Quality. Wendy graduated with a Bachelor of  
21 Science degree in Geology from Sacramento State.  
22 She's a Registered Professional Geologist in the  
23 State of California, Certified Project Manager  
24 Professional by the Project Management  
25 Institution -- Institute.

1           Today she will discuss some preliminary  
2 results of California Water Board's PFAS testing of  
3 drinking water and potential sources.

4           Wendy, you're on.

5           WENDY LINCK: All right. Well, good  
6 afternoon, everybody. You've heard the word State  
7 Water Board a lot. We'll I'm from the State Water  
8 Board. So we're gonna talk about PFAS in -- in the  
9 public water supply, currently a very large project  
10 that's going on right now. And so let me do the  
11 honors here.

12           (Slide Presentation)

13           WENDY LINCK: And, okay. All right.  
14 Hopefully, everybody can see the presentation. If I  
15 can get a thumbs-up, that would be great.

16           Okay, Lara, I can see you, see you, see  
17 you.

18           Okay. So as the introduction, I work in  
19 the Division of Water Quality within the State Water  
20 Board, but both the Divisions of Drinking Water and  
21 Water Quality have been working hand-in-hand for  
22 many years in regards to understanding PFAS, both at  
23 those industrial source sites that Emily mentioned  
24 that those airports and landfills, but also in the  
25 public drinking water supply.

1           So I'm gonna go over, kind of, a little  
2 bit of a scope about where -- where we -- where we  
3 are and where we have been collecting data. I'm  
4 gonna talk a little about the maximum contaminant  
5 level regulatory timeline for the Federal EPA in  
6 relation to what the activities are going on at the  
7 State Water Board.

8           As a foundational portion of this, is that  
9 we, as part of the State Water Board, issue  
10 monitoring orders in order to require monitoring and  
11 collection of data at either public water systems or  
12 at other -- other parties like at airports and  
13 landfills in order to gather this information and  
14 data for PFAS. That's how we get that information  
15 to us.

16           And as part of that, all that data that's  
17 collected, we knew that we needed to do some  
18 comparison studies in order to, kind of, understand  
19 the -- well, entire world of PFAS not just what's on  
20 the targeted list. And that will lead us up to a  
21 recent order that was issued in 2024 for this large  
22 project that's going on right now where we are  
23 sampling disadvantaged communities across the state,  
24 this is the Community Water System Project, and  
25 we'll go over some results. So that's what we're

1 going to do.

2           Okay. So we are using the good old  
3 iceberg analogy that's our latest one that we're  
4 using. You know, folks understand that's a lot  
5 of -- there are some targeted analytical methods out  
6 there that are being used to analyze for PFAS. In  
7 the drinking water world, that's EPA Method 533.  
8 That includes 25 analytes. It includes those  
9 short-chain -- Emily kind of mentioned some  
10 long-chain, and -- and if there's any questions  
11 about what short and long are. And so it's a good,  
12 kind of, representation of the newer. There are  
13 some newer PFAS, the newer chemistry PFAS in that  
14 list as well as the older legacy ones that are in  
15 there as well.

16           There are other drinking water -- other  
17 methods that we use in non-drinking water. And  
18 we're currently trying to understand these  
19 ultrashort PFAS. These are the ones that are the  
20 C1, C2, and C3 PFAS. The ones that are on that 533  
21 list are C4 and above, and those are really much  
22 smaller molecules. And we'll provide some  
23 information about data that we're seeing in regards  
24 to those. And complementary to target analysis,  
25 we're doing a -- what we're calling, kind of, a

1 proxy for total PFAS -- it's not perfect -- and  
2 that's using adsorbable organic fluorine. That's a  
3 modified method based upon EPA Method 1621.

4 And last but not least, we are fortunate  
5 to have funding in order to also include non-target  
6 analysis. And I'll talk about more a scope of the  
7 Community Water System Project coming up.

8 But first we've got to talk about this  
9 regulatory timeline in regards to where we are in  
10 regards to EPA. EPA issued those maximum  
11 contaminant levels for six PFAS back in April of  
12 2024. Right? And there's an initial monitoring  
13 period going on right now for all public water  
14 systems to be sampling. We are trying to make it  
15 possible for this large statewide project that that  
16 data can also be used as part of their initial  
17 monitoring. That will go on until 2027. And then  
18 after that, there's a post-monitoring period that's  
19 gonna happen. And if the MCL is still hanging  
20 there, there will -- public water systems will have  
21 to be in compliance by 2029. They'll have to  
22 already be serving compliant water by 2029.

23 So what we are currently doing, is we're  
24 trying to understand what the total PFAS is in  
25 drinking water, and really work towards, instead of



1 a contaminant-by-contaminant, analyte-by-analyte MCL  
2 approach, in addition to, to try to understand PFAS  
3 as a class and move forward with a treatment based  
4 regulatory approach for public water systems.

5           So I mention those -- those orders. Those  
6 orders that the State Water Board have to issue. In  
7 regards to drinking water, there are two orders that  
8 have been issued, one back in October of 2022 that  
9 was for all those public water systems that were in  
10 the vicinity of those industrial source areas that  
11 Emily mentioned. We're talking airports, we're  
12 talking about refineries, bulk fuel terminals,  
13 they're all associated with the use of aqueous film  
14 forming foam which has a source of PFAS,  
15 chrome platers, they use a universal, and had been  
16 using a universal mist suppressant for hexavalent  
17 chromium emissions. And those secondary receivers  
18 that receive PFAS, which are our landfills and our  
19 wastewater treatment plants. So those public water  
20 systems have been sampling since 2022 and are  
21 currently sampling on a quarterly -- quarterly  
22 monitoring schedule.

23           In 2024, we were awarded some state funds  
24 from the general fund to initiate this project. And  
25 as part of that, the Public Water Systems, all those

1 that are serving disadvantaged communities, is part  
2 of this scope. So that includes one-time sampling  
3 for all those water systems, those wells. As  
4 mentioned, as well as what Emily mentioned, these  
5 wells are -- the wells are being sampled, not what  
6 is being served is at the wellhead themselves. All  
7 of the samples are being analyzed for EPA Method  
8 533, and as well as adsorbable organic fluorine,  
9 AOF. We're talking about 3,800 wells that are gonna  
10 get these two analyses.

11 We are supplementing about 20% of them,  
12 because of cost mostly, to analyze for ultrashort  
13 PFAS, there's about five analytes on that list, and  
14 as well as non-targeted analysis on that subset. We  
15 are hoping and we will have to be done by 2026,  
16 because our funding ends at that point in time, and  
17 we are on schedule to do so.

18 In leading up to all of this, were two  
19 studies that happened. Because it was really  
20 important in the drinking water world, we needed to  
21 understand what else was likely in and about, not  
22 just what's on the targeted list. There's a lot of  
23 research coming out -- out and about that there's  
24 not just 25 or 18 PFAS analytes out there, there's a  
25 lot more than just that.

1           So in 2021, we went to -- actually,  
2 Division of Drinking Water staff went to nine  
3 drinking water supply wells all across the state.  
4 They were either associated with an airport or a  
5 landfill, somewhere where we knew that there were  
6 going to be PFAS in the well. We wanted  
7 concentrations in those wells. And we analyzed  
8 those samples using all the targeted analytical  
9 testing methods that were available. And we also  
10 used adsorbable organic fluorine.

11           And this is a representation of one of the  
12 well results, and it is showing that the adsorbable  
13 organic fluorine is in the blue bar, and the rest of  
14 those bars are comparing other targeted analytical  
15 techniques. So essentially, what we are finding  
16 out, back in 2021, which may not have been, you  
17 know -- not unknown, that there are a lot of  
18 unknowns that are not being picked up by the  
19 targeted method, and there's a lot -- there are more  
20 perfluorinated or polyfluorinated alkyl substances  
21 in drinking water than -- than what can be seen by  
22 targeted analytical techniques.

23           So from there, two years later, we -- we  
24 needed to go back to those nine wells one more time.  
25 So we went back to those wells, and in -- and in

1 this case, we also analyzed them for 533 again. We  
2 analyzed them for AOF, and we also supplemented for  
3 the ultrashorts. AOF is in blue, the sum of the 533  
4 targeted are in that dark brown, and the gap between  
5 the two is the ultrashorts. Those are those  
6 compounds that are just not on the targeted list at  
7 this point in time. And so it can be quite a bit  
8 that can be associated with the ultrashorts in  
9 regards to drinking water.

10 So knowing that, how are we going to  
11 regulate; right? How are we going to -- we can't  
12 contaminant-by-contaminant. We've got to, kind of,  
13 get our arms around PFAS in regards to drinking  
14 water. So we were awarded a large -- some bill  
15 funding in regards to the state fund. And we had  
16 several items that we needed to do in order to  
17 respond to that. One, we needed to select a PFAS  
18 broad-spectrum method. The second one is this DAC  
19 order; we were going to go out, issue the order and  
20 start sampling around 4,000 wells, there's actually  
21 about 3,800 now that are serving disadvantaged  
22 communities. The different analyses that we needed  
23 to do in regards to those wells and also understand  
24 more about ultrashorts. But really, kind of,  
25 understand what's going on in the non-target -- what

1 else is -- could be out there in those.

2           When we did the broad-spectrum method, we  
3 picked AOF as our broad-spectrum method. It's the  
4 most commercially available method that's available.  
5 There are others out there, but we found that it  
6 produced and shown better in regards to capture of  
7 PFAS in regards to drinking water in the State of  
8 California.

9           This is a current status of where we are  
10 in regards to the sampling of statewide. The yellow  
11 are these wells that already have been sampled. And  
12 we are still sampling, those ones that are planned,  
13 are in green. This is about a month old right now.  
14 At that point in time, we are -- have already  
15 sampled 1700 wells. This is all being done under  
16 subcontract to Sacramento State University. The  
17 consultant is going around the state and collecting  
18 these samples. They're being sampled, and the  
19 samples are being sent to our state contracted lab,  
20 which is Babcock Laboratories located in Riverside,  
21 California.

22           Babcock Lab is currently doing all the  
23 analysis currently. They are doing the 533, the  
24 ultrashorts by IC-MS/MS and the non-target analysis  
25 by high-res mass spec. We're probably over 2,000

1 wells as we speak right now, but currently we're  
2 running at about -- they're collecting about 170  
3 samples that are going to 170 wells a month right  
4 now and touching about 39 water systems a month.  
5 Some water systems are much larger than others, and  
6 so some of that is gonna vary month by month. But  
7 that is our current rate and we continue to  
8 accelerate that at that rate. We may be done early,  
9 actually, at this rate. And we'll see where we are  
10 probably in early '26 where we are.

11           So this is gonna provide some data and to  
12 show some of the results based upon this sampling.  
13 This is as of -- data that was in our database as  
14 of -- in December. It's a couple of months old, but  
15 there isn't much I anticipate changing from this.  
16 We're seeing a lot of non-detects, which is really  
17 great news for the data of the samples that are  
18 coming in for EPA Method 533.

19           This is a percent detect chart. Your  
20 y-axis is the analytes, what are they being detected  
21 at. And on the x-axis are the analytes that are  
22 part of 533. They are grouped in specific groups  
23 from the carboxylates, the C4, the C12s, the  
24 sulfonates, and the C4 to the C8s. Those ethers,  
25 those polyethers, those are those, kind of,

1 precursors. So they are the newer legacy. The  
2 fluorotelomers are definitely newer PFAS, newer  
3 chemistries. The ultrashorts, farther to the right,  
4 and then AOF to the farthest right in orange.

5 We're currently only seeing a very few of  
6 the carboxylates and sulfonates, at less than 10%  
7 detect right now. They are the same analytes that  
8 we have been seeing ever since, actually, sampling  
9 has been performed in the public water systems.  
10 They are predominantly the PFOA, C8, and C4 to C4  
11 carboxylates. We do have PFHxS. That was also  
12 mentioned in the sulfonate range and other  
13 sulfonates as well as PFOS, P-F-O-S.

14 As you move your way farther to the right,  
15 we don't see any of the ethers. We don't see any of  
16 the fluorotelomers in drinking water. And AOF  
17 currently is being detected a little bit over 30% of  
18 the time. The one large green bar that you see --  
19 now, please keep in mind that the -- the ultrashorts  
20 are being done on a subset of the whole. So there's  
21 currently about 227 samples that were a part of this  
22 chart, and every -- every one of them is showing  
23 trifluoroacetic acid. And this is a C2 ultrashort.

24 We do not expect, and would not expect to  
25 see ethers or other newer chemistries. Those are

1 precursors. I think what we're finding out --  
2 really understanding that, you know, most of those  
3 precursors are -- are -- they're definitely at the  
4 source sites. They are hanging around up there.  
5 But by the time they get to drinking water, they  
6 have already transformed. They are degradates and  
7 they will show and come up either a PFA -- or PFHxA  
8 or other carboxylates, and that's what we're seeing  
9 in drinking water in -- so far. We do not see  
10 any -- any of the precursors in drinking water that  
11 are on the 533 list.

12           So these, two, next two charts, are gonna  
13 kind of give you a range of concentrations that you  
14 see in drinking water so far at these disadvantaged  
15 communities, these public water systems. And so  
16 pretty much most of the bulk of -- the middle 50% of  
17 all the data is really less than about 20 nanograms  
18 per liter. Really low concentrations in comparison  
19 to this -- in the industrial source sites where we  
20 can see multiple magnitudes much higher there. And  
21 so you can see some of -- you can see the ranges of  
22 those -- of those -- in the carboxylates and the  
23 sulfonates in regards to there.

24           We have a couple that have a pretty high  
25 result, if you had noticed, the maximum



1 concentration for PFHxS and PFOS there, and a  
2 couple -- that one pretty much and the PFOA one,  
3 though that is at one well that we know about. It  
4 is a well that is near an airport, and it currently  
5 has extensive treatment -- treatment on it, and it's  
6 the only one that is actually at that high. But you  
7 can see what the median concentrations are -- are  
8 all below 10 nanograms per liter.

9           We're gonna switch to the trifluoroacetic  
10 acid in the ultrashorts. And notice that the  
11 concentration on the y-axis up a magnitude. We see  
12 trifluoroacetic acid I had mentioned in all the  
13 wells so far that are analyzed for them. And so our  
14 current median concentration, as of that -- this  
15 dataset is about 600 nanograms per liter. I think  
16 in reference to this, I wanted to point out is that  
17 currently the European Union, the -- I believe the  
18 Danes and Germany are currently have -- their, kind  
19 of, maximum contaminant level for trifluoroacetic  
20 acid around 9,000 nanograms per liter. I think what  
21 we are seeing, in general, is that as you get a  
22 shorter-chain length in regards to PFAS, the -- the  
23 toxicity, you know, it's not as -- as -- as terrible  
24 as PFOA and PFOS. It's still -- PFOA and PFOS are  
25 still gonna be the leaders, that's why the maximum

1 contaminant level is at 4. PFBS MCL is around  
2 2,000. That's a shorter-chain. So we see just a  
3 little bit of TFMS. And of the other ultrashorts,  
4 we don't see them at all. These are the only two.  
5 This is it.

6           So we decided we're gonna do a heat map.  
7 And so to orient you on this, the x- and the y-axis  
8 are the same analytes. And we start with a very  
9 short-chain on the carboxylates and move our way up  
10 into longer-chain and then flip over to sulfonates  
11 and ethers, FTSS and the ultrashorts, and the  
12 same -- on the x as you go from left to right.

13           Let's talk about the blank space. That's  
14 all non-detects. We don't have data. Any  
15 correlations with -- is all non-detects. We don't  
16 have any -- enough data to correlate for those.  
17 Down in the lower left part of the chart is the  
18 correlations that we're seeing with those  
19 carboxylates. We are seeing carboxylates, as I  
20 mentioned before, which are degradates of other  
21 precursors that are -- that are in that association  
22 over there.

23           We see little bit up, over in those  
24 sulfonates, that other part of that other little  
25 colored box towards the middle of the heat map. And

1 the other thing that's very interesting, is if you  
2 actually looked at AOF and you looked for any  
3 correlation with AOF, we are not seeing much  
4 correlation with AOF with any of the other analytes.

5 I looked at the data in particular, and  
6 we're only seeing in every well, where we have an  
7 AOF concentration, only about 10% of them may have  
8 one of the other analytes in them, either PFOS or  
9 PFOA or PFHxS. So that's something that we've got  
10 to think about and understand. But we need more  
11 data, and we'll continue to, kind of, ponder on why  
12 we are not seeing that much correlation with AOF for  
13 that.

14 So we then took a look at the results in  
15 regards to -- and some of this may explain a little  
16 bit about the previous heat map, is that it has to  
17 do with detection limit. So AOF has a higher  
18 detection limit. Currently, right now, we actually  
19 can receive estimated data, and so our current  
20 detection limit for AOF is around 200 nanograms of  
21 organic fluorine per liter. We converted all the  
22 PFAS analytes into nanograms of organic fluorine per  
23 liter and summed them up, and that is represented by  
24 the blue bars. And then the orange bar is the AOF  
25 concentrations.

1           So you can see, kind of, that hole in  
2 between there where we don't -- can't see with AOF.  
3 And so, but, that's where most of the sum -- 533  
4 sums are located down in that lower range. Most of  
5 our data, in regards to even adding up everything,  
6 is below 10% of the wells, of -- below 10 nanograms  
7 of organic fluorine per liter in most -- almost 40%  
8 of the wells, and we have a lot of non-detects. We  
9 have both a lot of non-detects for AOF as well. So  
10 that is something we need to, kind of, work on and  
11 ponder, and we'll get more data and look at that.

12           We need to start pairing this. We  
13 currently are -- are receiving a lot of data. We  
14 are -- there is so much data that's coming in, that  
15 we're -- you know, we're trying to keep -- keep  
16 aboveboard. And so one of the things that we still  
17 have to work on and look at is the non-target. How  
18 does that, in those non-target analysis, how do they  
19 relate to this AOF, and by abundance, and in  
20 relation to the targeted as well.

21           This is just a chart to, kind of, give you  
22 understanding of where -- there was some references  
23 to notification levels. In drinking water,  
24 currently, all these wells we provide a notification  
25 to the water system what the results were and where

1 they are. There are certain actions that may be  
2 required based upon -- there are advisory  
3 non-regulatory levels that are issued by the  
4 Division of Drinking Water. This gives you an idea  
5 of comparison to the current EPA MCLs that have been  
6 issued back in April and in comparison to the  
7 notification and response levels.

8 Response levels means that the public  
9 water system either has to take that well off-line,  
10 they either have to treat, or they have to do public  
11 notification. That means sending a mailer to your  
12 home address. They don't want to do that. Most of  
13 the public water systems are already reacting to the  
14 notification level, which is very close to what  
15 the -- the MCL is for -- for -- the EPA MCLs.

16 And then, yeah, so that's where we are.  
17 And then if we were to take the actual data that's  
18 being reported for these water systems, this gives  
19 you an idea in comparison to them. The advisory  
20 levels are at the top of the screen, and the federal  
21 MCL exceedances are at the bottom. We see most of  
22 our -- we only have one exceedance of any response  
23 level for PFOA and PFOS currently. PFHxS is out  
24 there. That's the one. We have been hearing that  
25 for the last hour or so about PFHxS. And it's the

1 one that's causing the most exceedances in regards  
2 to the public drinking water supply. In comparison  
3 to the MCLs, you can see, kind of, the relation  
4 there for those. So but, otherwise, the -- the  
5 higher-chain PFBS, that's much higher maximum  
6 contaminant level. We don't have any -- won't have  
7 any exceedances most likely, and very little on --  
8 on PFNA.

9           So all this does is, kind of, compare  
10 those exceedances based upon the DAC order versus  
11 the combine of all the public drinking water systems  
12 that are sampling and currently reporting. And you  
13 can, kind of, see the difference. We've been very  
14 low exceedances of the response level based upon the  
15 four analytes that are listed there that have  
16 notification response levels issued by the State  
17 there. But once you get closer to the source sites,  
18 those response level percentages go up. We are  
19 moving towards the source area there, and then we do  
20 have some -- we do have some exceedances there.

21           The difference between the level, the  
22 response level and the MCL is one little bit notch  
23 down, and there's quite a bit. There's gonna be  
24 some differences there in regards to an increase  
25 that the public water systems will be moving towards

1 in treatment.

2 Last but not least, our last slide, and  
3 then I'll have my thank you slide after that. We  
4 look forward to questions or comments.

5 This, kind of, gives you an idea  
6 geographically where the wells are -- currently have  
7 exceedances based upon the federal MCLs. A lot of  
8 them are located in Southern California. There is a  
9 lot of effort, there is currently 50 permits that  
10 are already issued by the Division of Drinking  
11 for -- for PFAS treatment, and most of them are down  
12 in Southern California. A lot of those systems are  
13 already online and are either using GAC or a  
14 combination of GAC and ion exchange to remove -- to  
15 remove PFAS from the drinking water supply.

16 And so that, kind of, gives you an idea of  
17 where we are. And I appreciate your time this  
18 afternoon. And I just want to shout out to my  
19 colleague Dan Newton; he's the Assistant Deputy  
20 Director of the Division of Drinking Water. His  
21 nighttime job, other than regulating 4,000 water  
22 systems, is PFAS. So him and I are the ones that  
23 are trying to understand this huge world and be, you  
24 know, the best -- the best to, yeah, to try to  
25 figure it out what is the next steps for that.

1           So I'll end it there.

2           ACTING CHAIR CRANOR: Thank you, Wendy.

3           We have few minutes for clarification  
4 questions, and then the remainder of the time until  
5 about 3:45, we're open for Panel and audience  
6 questions of various kinds and then open discussion  
7 if there is some.

8           Take it away.

9           WENDY LINCK: Hi Jenny.

10          PANEL MEMBER QUINTANA: Hi. Thank you for  
11 that very detailed talk, and I'm not sure I followed  
12 all of this. And you may have already said this at  
13 the beginning, so this is just a clarifying  
14 question.

15          Were these wells also -- were you covering  
16 tribal lands in California as well as non-tribal  
17 lands?

18          WENDY LINCK: Yeah, so I know of one  
19 system that's one -- so that's a very interesting  
20 story, Jenny. So the EPA actually regulates tribal.  
21 There are some tribes that are being regulated by  
22 the Division of Drinking Water, but most of them  
23 are -- as you know, are sovereign nations. And so  
24 there are very few tribal nations that are on this  
25 list. But the one that I know of is non-detect.



1 PANEL MEMBER QUINTANA: Thank you.

2 WENDY LINCK: You're welcome.

3 ACTING CHAIR CRANOR: Other

4 clarifications?

5 WENDY LINCK: Lara?

6 PANEL MEMBER CUSHING: Yeah. Hi Wendy.

7 This was great. I learned a lot.

8 I was curious -- could -- I may have  
9 missed it, but could you go over how disadvantaged  
10 community was defined in this 2024 order?

11 WENDY LINCK: Yeah, it's based upon median  
12 household income. It's stated in the regulations in  
13 regards to that.

14 PANEL MEMBER CUSHING: And I guess, just a  
15 follow-up, like, what -- what proportion of  
16 community water systems statewide are designated as  
17 disadvantaged and being subject to this sampling  
18 that you described?

19 WENDY LINCK: Well, it's my understanding  
20 that there is over 14,000 wells in the State of  
21 California, and we're trying to sample 4,000. And  
22 that --

23 ACTING CHAIR CRANOR: I have a question.  
24 I have a clarification --

25 WENDY LINCK: Not all water systems --

1           ACTING CHAIR CRANOR: Excuse me.

2           WENDY LINCK: Yeah. Some water systems --  
3   yeah, they're a combination. It's, you know, not --  
4   there are some wells and some water systems that are  
5   not considered disadvantaged. That makes a lot of  
6   sense, doesn't it? But anyway.

7           ACTING CHAIR CRANOR: May I ask a question  
8   about the disadvantaged communities? Are the water  
9   systems obviously more contaminated?

10          And if so, do you have a speculation about  
11   why?

12          WENDY LINCK: I'm sorry, could you speak  
13   that up -- speak up a little louder, please.

14          ACTING CHAIR CRANOR: In the disadvantaged  
15   communities, are the water systems more obviously  
16   contaminated with PFAS?

17          WENDY LINCK: (Indicating)

18          ACTING CHAIR CRANOR: No.

19          WENDY LINCK: No, in fact that's one of  
20   the wonderful things about this; so far, we are not.

21          There's a few outliers out there. I think  
22   every state is, you know, trying to -- kind of  
23   noodle, like, why is that there, but otherwise,  
24   overall, because such a low percentage of detection,  
25   like, less than 10%. We are -- it has been

1 wonderful news not to see PFAS in every well and  
2 everywhere.

3           ACTING CHAIR CRANOR: Just a  
4 clarification, less than 10% of the wells tested in  
5 the disadvantaged communities have contamination  
6 problems or less than 10% --

7           WENDY LINCK: Less than 10% are detecting  
8 PFAS in the samples that are currently -- currently.  
9 So we're at that -- we're currently at that point in  
10 time, at 1300 wells, and we're only detecting 10%.

11           ACTING CHAIR CRANOR: Tom?

12           PANEL MEMBER MCKONE: If it helps, I can  
13 move this to the general discussion. We can cross  
14 the border, and then we're on time.

15           ACTING CHAIR CRANOR: Let's see. We have  
16 until -- from now until 3:45. You can edge us into  
17 that.

18           PANEL MEMBER MCKONE: Well, I don't know  
19 if it is, but it could be either one.

20           So I'm curious about -- so clearly -- as  
21 is typical, California sets response levels drinking  
22 water guidance that's slightly different from EPA.

23           Are there other states that engage in  
24 doing this?

25           And are -- are you going to compare, you

1 know, the California response threshold or limits to  
2 those other states or is that relevant? I'm  
3 curious.

4 WENDY LINCK: That's a good question.

5 A lot of states have -- have been  
6 regulating PFAS for a while. We just -- EPA just  
7 issued theirs back in 2024. Some of those states  
8 over in the East Coast, sir, have had some  
9 significant issues, and they needed to move. And  
10 they need to regulate sooner than later, and so they  
11 have done so.

12 Now, some of them are now going to have to  
13 figure out what the next step for them are, and may  
14 have -- have to lower those. But, yeah, there's a  
15 lot of states that have already been regulating for  
16 PFAS. It could be a single analyte. Some have  
17 gotten to the point where they're summing them up  
18 and using that sum as their -- as their approach for  
19 regulation. So it's all over the -- it's all over  
20 the -- it's all over the place, sir.

21 I think the Division of Drinking Water  
22 will be lowering their response levels and  
23 notification levels down to the MCLs. So we're  
24 gonna -- they're gonna match them.

25 ACTING CHAIR CRANOR: Amy?

1           PANEL MEMBER PADULA: Just a follow-up --  
2 this is Amy Padula -- on what you just mentioned.

3           So you expect the -- the detection limits  
4 for the AOF to go down for the total PFAS or not  
5 necessarily?

6           WENDY LINCK: Not necessarily. No. I  
7 think it has to do with -- it's using combustion ion  
8 chromatography. We are currently using an  
9 extraction process that actually is one of the  
10 better ones based upon a study -- and I can provide  
11 a link to that study if anybody's interested in  
12 that -- in order to capture as much as possible.

13           But it may be just -- it's gonna be a  
14 limitation based upon the available technology.  
15 So --

16           PANEL MEMBER PADULA: That's too bad,  
17 'cause I could see the conundrum.

18           WENDY LINCK: Oh, I know; right?

19           And so we're -- we're -- we can't see  
20 that -- that in drinking water. I think that's what  
21 we've got to consider here in the State of  
22 California. Drinking water concentrations are --  
23 are not that high. I know they're above 4. But in  
24 relation to other states, you know, we -- we don't  
25 have a primary manufacturer in the State, of PFAS.

1 Everything is coming in secondarily. And so all of  
2 our concentrations are much lower.

3 And so that technique is great at a source  
4 site, great for screening. And so we're trying to  
5 figure out how we're gonna move forward in regards  
6 to treatment technology approach. 'Cause one of the  
7 things that we're going to do next is we're gonna  
8 actually go to treatment systems, and we're going to  
9 analyze those same set of analytes on the influent  
10 and the effluent, what's actually coming into those  
11 systems and what's actually leaving those systems  
12 and how much is that.

13 But the -- the silver lining, I think, is  
14 that, one thing, if you don't get anything, I think,  
15 is that what we're seeing now is what we have been  
16 seeing, and there hasn't been anything different, at  
17 least on the targeted list. And that's been a huge  
18 difference in regards to drinking water.

19 We know we've got some other unknowns, but  
20 we're getting there to try to understand what those  
21 are, and are they gonna be an issue.

22 STEPHANIE JARMUL: I think Jenny had her  
23 hand next.

24 PANEL MEMBER QUINTANA: Hi, actually, I  
25 think you answered my question, Wendy. It had to do

1 with the treatment systems. So thank you.

2 WENDY LINCK: Yeah.

3 José?

4 PANEL MEMBER SUÁREZ: Indeed, this has  
5 been a very educational presentation. I think the  
6 biggest highlight for me here is just the ubiquitous  
7 presence of the ultrashorts, the FTA in all of the  
8 samples that you measured --

9 WENDY LINCK: Yeah.

10 PANEL MEMBER SUÁREZ: Which really makes  
11 it quite compelling to start considering this in  
12 Biomonitoring and also expanding the measurements of  
13 this in many, many different places.

14 I'm looking at, right now, at the -- at  
15 the map here that geospatial where you're showing  
16 the different areas in the State of California that  
17 had elevated or -- or values exceeding the MCLs for  
18 various of the legacy PFOS --

19 WENDY LINCK: Uh-huh?

20 PANEL MEMBER SUÁREZ: -- PFAS, but I  
21 really wonder what this would look like for FTA in  
22 particular. I'm guessing that the use of FTA must  
23 be very widespread. I -- I do research with  
24 pesticides, and I know that they're being used for  
25 certain herbicides and certain fungicides. So

1 bringing that, looking at the map here, it will be  
2 very nice to see how these different well sites in  
3 relation to, proximity to agricultural crops --

4 WENDY LINCK: Yeah.

5 PANEL MEMBER SUÁREZ: -- may be related to  
6 this.

7 WENDY LINCK: Yeah.

8 PANEL MEMBER SUÁREZ: I mean, they're also  
9 used in medications, I believe, like Prozac, I think,  
10 has some component --

11 WENDY LINCK: Yeah. I don't know. I  
12 think -- you know, I don't think we've ever -- or at  
13 least in my 20-plus years career ever dealt with  
14 PFAS before. You have such layered issues with it.

15 First, you've got the different  
16 chemistries; right? And different -- and  
17 chemistries in regards to the evolution of making  
18 them, the phaseout of them, and then the replacement  
19 products that then degrade to them; right?

20 And so TFA is one of those ones that can  
21 be -- one, that can be a degradate of another thing,  
22 but it can also be a source of something. And it  
23 was being used in the 50s widely, you know, in  
24 the -- in the HFC market. And so you've got this  
25 combination. Once again, you got this parent, but



1 also can be a daughter, so to speak. And so it's --  
2 it's just a crazy thing.

3 And so since we're seeing it in drinking  
4 water, right, it had to come from somewhere. And it  
5 had to come -- and it -- and it's been around a  
6 while. You know, some of these wells are really  
7 deep, José. We just don't get there immediately,  
8 so...

9 PANEL MEMBER SUÁREZ: And unlike other  
10 persistents like PBDEs, there are no known natural  
11 sources of --

12 WENDY LINCK: Right.

13 PANEL MEMBER SUÁREZ: -- TFA or anything  
14 like that.

15 WENDY LINCK: Right. Yeah.

16 PANEL MEMBER SUÁREZ: Yeah. So, I mean --  
17 I mean, this is phenomenal work. It gives us a  
18 little bit of insights of that tip of the iceberg  
19 that you were showing us where we --

20 WENDY LINCK: Yeah. Right.

21 PANEL MEMBER SUÁREZ: -- all the PFAS,  
22 they --

23 WENDY LINCK: We're trying to draw the  
24 water -- water line down.

25 PANEL MEMBER SUÁREZ: And it gives us, I

1 mean, a pretty compelling rationale here for maybe  
2 those total PFAS that you're not, really,  
3 measuring --

4 WENDY LINCK: Yeah.

5 PANEL MEMBER SUÁREZ: -- and targeting.  
6 That may be these -- so very educational. At the  
7 same time, you know, something that we're gonna be  
8 thinking a lot more --

9 WENDY LINCK: Yeah.

10 PANEL MEMBER SUÁREZ: -- also on the  
11 biomonitoring side.

12 WENDY LINCK: I appreciate it. Thank you,  
13 José.

14 PANEL MEMBER SUÁREZ: Thank you.

15 NERISSA WU: This is Nerissa Wu from  
16 Biomonitoring California.

17 I just wanted to address something José  
18 said. And thank you, Wendy, that was really  
19 informative.

20 Yes, of course, all of this water data  
21 makes us think about what we should be measuring in  
22 humans. And we have been investigating with  
23 different methods that are available to us.

24 They are, unfortunately, not standardized  
25 at this point, so it's -- we don't have a method

1 that we can apply broadly. But we are planning to  
2 run a pilot with TFA and see how that looks with  
3 some -- with a small subset of our samples. And we  
4 look forward to having more -- to fill in -- to help  
5 supplement some of this water data coming up.

6 PANEL MEMBER SUÁREZ: Phenomenal. Thank  
7 you.

8 MARTHA SANDY: Martha Sandy with OEHHA.  
9 So thank you, Wendy, that was a great  
10 talk.

11 I'm thinking of your slide with the  
12 correlations of the different --

13 WENDY LINCK: Yeah.

14 MARTHA SANDY: -- things that are  
15 measured. And that AOF, they're -- you're not  
16 seeing a correlation with other targeted PFAS, if  
17 you will, short-chain or long-chain.

18 So I'm -- I'm wondering, is the adsorbable  
19 organic fluorine, that's gonna pick up the  
20 pharmaceuticals; is that right? And so maybe that's  
21 what's missing? And -- and some of the pesticides  
22 as well that are fluorinated.

23 WENDY LINCK: Yeah, we're already have  
24 looked at some of the non-targeted data, and that  
25 you -- you got it. Yeah. That's all.

1           Actually, a lot of non-fluorinated. Not  
2 fluorinated, non-fluorinated.

3           DINA DOBRACA: This is Dina Dobraca,  
4 Biomonitoring California staff member.

5           I was just wondering, you had a slide that  
6 showed that about --

7           ACTING CHAIR CRANOR: Could you put that  
8 mic closer to your mouth? We'll hear better.

9           DINA DOBRACA: Okay. You had a slide that  
10 showed about 50% of all wells sampled had 0% detect  
11 for AOF. And in combination with 100% of your  
12 ultrashort subset having TFA detected, has the Water  
13 Board thought about creating almost exposure  
14 profiles for these wells?

15           Like, this subset of wells is TFA, nothing  
16 else. What's around them? Who do they serve? What  
17 does it look like? This subset of wells is -- has  
18 maximum contaminant levels that we've studied for a  
19 long time and know about? Who do they serve?  
20 What's around them?

21           Yeah. That's the extent of my question.

22           WENDY LINCK: Yeah, I think the one thing  
23 that you saw, except for the end, was some kind of  
24 map, so that's where we are. We need to now, kind  
25 of, look at the geospatial relationships, and we're

1 just trying to -- we're still receiving data every  
2 day. And it's a small group of us that are looking  
3 at it. So those are really great ideas. We hope to  
4 be doing that.

5 Hi, Lara.

6 PANEL MEMBER CUSHING: Hi.

7 WENDY LINCK: You got time to help us?

8 No.

9 PANEL MEMBER CUSHING: Yes. Yes. We'd  
10 love to help you.

11 I had one other quick question. Oh, I was  
12 wondering about the degree of overlap between your  
13 data and the UCMR 3 or 5, and if you looked at all  
14 to see, like, time trends or correlations across  
15 those different sampling efforts?

16 WENDY LINCK: Yeah. Yeah, there is some  
17 overlap. Yeah. But we -- no, we haven't looked at  
18 that. And I believe UCMR 5 is not done in  
19 California yet. At least that was an email I saw a  
20 couple of weeks ago. They're not quite finished.

21 ACTING CHAIR CRANOR: A few minutes left.

22 Questions? Any questions? Comments?  
23 Substantive or otherwise?

24 STEPHANIE JARMUL: Nothing online at the  
25 moment.

1           ACTING CHAIR CRANOR: Wendy, you seem to  
2 have silenced the crowd.

3           PANEL MEMBER QUINTANA: There's a hand up  
4 online on the Zoom.

5           WENDY LINCK: Kannan? Did I say that  
6 right?

7           KANNAN KRISHNAN: Yeah. Thank you.

8           Thanks for the nice presentation.

9           One question, I thought I saw in one of  
10 the slides, the sum of the targeted plus the sum of  
11 the ultrashort was greater than the AOF.

12          WENDY LINCK: Yeah, that's right. How  
13 does that happen, Kannan?

14          KANNAN KRISHNAN: Yeah. You first.

15          WENDY LINCK: Yeah, there's more stuff out  
16 there; right?

17          AOF is not perfect. I mentioned that,  
18 so -- but it's the best that we can -- we're doing  
19 it all in a commercial lab, you know. So right now,  
20 that's what we have so far.

21          KANNAN KRISHNAN: Okay. Well, the general  
22 thought is that it's better than the TOF?

23          WENDY LINCK: Yeah. But, you know, that's  
24 interesting. I think for drinking water, probably.  
25 But I think that -- I think that detection limit

1 also has something to play with it, a little bit,  
2 Kannan, as well. So we'll keep looking at ways.  
3 We've already done quite a bit on -- on the  
4 extraction technique to try to not lose as many PFAS  
5 in the extraction process. But when you're talking  
6 adsorbable organic fluorine, you're still talking a  
7 wax carbon cartridge, so it's whatever is gonna  
8 adsorb, and stuff is gonna pass through.

9 KANNAN KRISHNAN: Science is evolving --

10 WENDY LINCK: Yeah. Oh, my god. We've  
11 gone so far in the last four years. It's really  
12 leaps and bounds. Just having the ability to do  
13 non-target analysis on a commercial lab level is  
14 huge.

15 KANNAN KRISHNAN: Thank you for sharing  
16 all of these thoughts and data. You covered a lot.  
17 Thank you.

18 STEPHANIE JARMUL: We do have one more  
19 question.

20 Toki, go ahead.

21 WENDY LINCK: Hi Toki.

22 TOKI FILLMAN: Hi Wendy. Thank you so  
23 much for this very interesting presentation.

24 I was just wondering if you could expand a  
25 little bit more on the plans to monitor treatment

1 systems, influent and effluent. Is that gonna be  
2 on -- on a small number of treatment systems or more  
3 extensive monitoring?

4 WENDY LINCK: For the -- for the testing  
5 part to see what was there?

6 TOKI FILLMAN: Yeah.

7 WENDY LINCK: Is that what you mean?

8 Yeah, we need to probably start planning  
9 for that sooner than later. That same funds that's  
10 gonna expire at the end of 2026, has got to be used  
11 for that too, Toki. So we've got to do some update  
12 to our QAPP and figure out which water systems are  
13 willing to help out here.

14 We're looking for a good section, cross  
15 section of different water systems. They are  
16 currently already doing PFAS treatment across the  
17 state. Southern California is an obvious candidate  
18 pool down there, and they are receptive of that, but  
19 we also need to reach out to others across the  
20 state. But there aren't many other that are really  
21 down in Southern California so we can test different  
22 types of combinations.

23 TOKI FILLMAN: Thank you.

24 WENDY LINCK: Thank you.

25 STEPHANIE JARMUL: Lara.



1           PANEL MEMBER CUSHING: Hi. Lara Cushing  
2 again. I keep thinking of questions.

3           I'm just curious if you could say more or  
4 if you have given thought to surface water sources  
5 and are they excluded because you don't think there  
6 is much potential for PFAS in the surface water  
7 sources or they're just not as commonly used?

8           WENDY LINCK: The bill funding was  
9 directed to groundwater, to wells, so that's why the  
10 study is focused on that.

11           As part of the interim monitoring period,  
12 that's by the federal -- by the federal, right, with  
13 the MCLS, they have to sample both surface and they  
14 have to start -- so that data will be coming --  
15 coming in to find that out.

16           We did do a study. We did a small study a  
17 year or so ago where we did sample along the  
18 Sacramento and Feather Weather -- River in regards  
19 to water intakes, and we didn't see anything. But,  
20 you know...

21           PANEL MEMBER CUSHING: Thank you.

22           ACTING CHAIR CRANOR: Other questions or  
23 comments? We have 15 minutes of allotted time if  
24 you wish to use it.

25           STEPHANIE JARMUL: We can move to open

1 public comment. Do you want to announce the open  
2 public comment, Carl?

3 And thank you so much, Wendy.

4 ACTING CHAIR CRANOR: Let's see. So the  
5 for the wrap-up period, the listeners should know  
6 that web attendees can submit written comments and  
7 questions via the Q&A function of Zoom webinar or by  
8 email to [biomonitoring@oehha.ca.gov](mailto:biomonitoring@oehha.ca.gov). And we will  
9 read them out loud. If you wish to speak, please  
10 alert us through the Raise Hand feature of the  
11 program, and Rebecca will call on you at the  
12 appropriate time. If you are attending in person  
13 and wish to comment, please come in, raise your  
14 hand, I will call on you -- call on you. For the  
15 benefit of the transcriber, please clearly identify  
16 yourself before providing comment.

17 So those are the ground rules for the last  
18 15 minutes. Opportunity for -- to submit comments.

19 STEPHANIE JARMUL: If any, public comments  
20 are welcome on anything we've discussed today or  
21 anything else.

22 No public comments at this time.

23 ACTING CHAIR CRANOR: No public comments.  
24 No in-room comments? Is there a move -- I don't  
25 think we're on Roberts Rules of Order, but is there

1 a move to adjourn?

2           STEPHANIE JARMUL: You can go ahead and --  
3 and wrap up.

4           ACTING CHAIR CRANOR: Did I miss  
5 something? Oh, wrap-up and adjournment; sorry.

6           There we go. So a transcript of the  
7 meeting will be posted on the Biomonitoring  
8 California website when it is available.

9           The next Science Guidance Panel meeting  
10 will take place on August 27, 2025 from 10 a.m. to  
11 4 p.m. in Sacramento. That's an important  
12 difference. Information regarding options for  
13 attending the meeting will be made available closer  
14 to the August meeting date.

15           So this meeting, obviously, is here in  
16 Berkeley. You're all present. The next one is in  
17 Sacramento, that's a little trickier to get to.

18           And thank you Panel and thank you  
19 audience, and the staff has been most helpful.

20           We appreciate it. Thank you.

21           (Thereupon the California Environmental  
22 Contaminant Biomonitoring Program,  
23 Scientific Guidance Panel meeting  
24 adjourned at 3:45 p.m.)  
25

1  
2 CERTIFICATE OF REPORTER  
3

4 I, DIANA FLORES NUCHURCH, a Certified  
5 Shorthand Reporter of the State of California, do  
6 hereby certify:

7 That I am a disinterested person herein;  
8 that the foregoing meeting of California  
9 Environmental Contaminant Biomonitoring Program  
10 Scientific Guidance Panel was reported in shorthand  
11 by me, Diana Flores Nuchurch, a Certified Shorthand  
12 Reporter of the State of California, and thereafter  
13 transcribed under my direction, by computer-assisted  
14 transcription.

15 I further certify that I am not of counsel  
16 or attorney for any of the parties to said meeting  
17 nor in any way interested in the outcome of said  
18 meeting.

19 IN WITNESS WHEREOF, I have hereunto set my  
20 hand this the 11th day of April, 2025.

21 *Diana Flores Nuchurch*

22 Diana Flores Nuchurch  
23 Certified Shorthand Reporter  
24 License No. 14759  
25