

CALIFORNIA ENVIRONMENTAL CONTAMINANT BIOMONITORING PROGRAM

(BIOMONITORING CALIFORNIA)

SCIENTIFIC GUIDANCE PANEL MEETING

CONVENED VIA HYBRID FORMAT BY:

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT

CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY

STATE OF CALIFORNIA

CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY

COASTAL HEARING ROOM

1001 I STREET

SACRAMENTO, CALIFORNIA

FRIDAY, JULY 19, 2024

10:00 A.M.

JAMES F. PETERS, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

J&K COURT REPORTING, LLC

APPEARANCES

PANEL MEMBERS:

Ulrike Luderer, MD, PhD, Acting Chair

Carl F. Cranor, PhD, MSL

Oliver Fiehn, PhD

Thomas McKone, PhD

Amy Padula, PhD, MSc(Remote)

Penelope (Jenny) Quintana, PhD, MPH(Remote)

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT:

Dave Edwards, PhD, Acting Director

Rebecca Belloso, MPH, Health Program Specialist I, Safer Alternatives and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Stephanie Jarmul, MPH, Section Chief, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Aalekhya Reddam, PhD, Research Scientist III, Safer Alternatives Assessment and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Martha Sandy, PhD, MPH, Chief, Reproductive and Cancer Hazard Assessment Branch

Wes Smith, PhD, Chief, Fish, Ecotoxicology, and Water Section, Pesticide and Environmental Toxicology Branch

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Kathleen Attfield, ScD, Chief, Exposure Surveillance and Epidemiology Unit, Environmental Health Investigations Branch

APPEARANCES CONTINUED

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Paramjit Behniwal, PhD, MSc, Research Scientist,
Environmental Health Laboratory

Kelly Chen, MSc, Research Scientist, Environmental Health
Investigations Branch

Dina Dobraca, MPH, Research Scientist III, Environmental
Health Investigations Branch

Jianwen She, PhD, Chief, Biochemistry Section,
Environmental Health Laboratory Branch

Nerissa Wu, PhD, MPH, Chief, Exposure Assessment Section,
Environmental Health Investigations Branch

CALIFORNIA DEPARTMENT OF TOXIC SUBSTANCES CONTROL

June-Soo Park, PhD, Chief, Biomonitoring Branch,
Environmental Chemistry Lab

ALSO PRESENT:

Ken Szutu, Citizen Air Monitoring Network

<u>INDEX</u>	<u>PAGE</u>
Welcome	
David Edwards, PhD, Acting Director, Office of Environmental Health Hazard Assessment (OEHHA)	1
Overview of the Meeting	
Ulrike Luderer, PhD, Acting Chair, Scientific Guidance Panel (SGP)	5
Program Update	
Presentation: Nerissa Wu, PhD, MPH, California Department of Public Health (CDPH)	8
Panel and Audience Questions	21
Open Discussion and Input	30
Presentation: Aalekhya Reddam, PhD, OEHHA	35
Panel and Audience Questions	50
Open Discussion and Input	56
Presentation: Paramjit Behniwal, PhD, MSc, Environmental Health Laboratory, CDPH	64
Panel and Audience Questions	72
Open Discussion and Input	78
Perfluoroalkyl and Polyfluoroalkyl Substances (PFASs) and Seafood in California: Monitoring of Human Populations and Fish Species	
Presentation: Kelly Chen, MS, CDPH	82
Panel and Audience Questions	99
Presentation: Wes Smith, PhD, OEHHA	108
Panel and Audience Questions	121
Open Discussion Period	132
Trends of PFASs and Persistent Organic Pollutants (POPs) in Pregnant Californians	
Presentation: Dina Dobraca, MPH, CDPH	138
Panel and Audience Questions	158
Open Discussion Period	162
Open Public Comment Period	170
Wrap-up and Adjournment	171
Reporter's Certificate	173

PROCEEDINGS

ACTING DIRECTOR EDWARDS: Good morning, everyone. I would like to welcome the Panel members and the audience to the July meeting of the Scientific Guidance Panel for Biomonitoring California, more formally known as the California Environmental Contaminant Biomonitoring Program. Thank you all for joining us today.

The Panel last met on March 20th, 2024. The March meeting included updates on Biomonitoring California Program activities, including initial results of a project to assess associations between per- and polyfluoroalkyl substances levels in serum in Southern California adults and in drinking water. The Panel also heard from guest speakers on challenges and opportunities for biomonitoring for oil and gas exposures.

Key discussion topics included: examining variables including drinking water sources that may be influencing the concentrations of PFASs in participants from the California Regional Exposure Study, or CARE study; using non-targeted laboratory methods to capture fluorinated compounds that are not detected by the Water Board's targeted methods to help identify PFASs in drinking water; and important considerations when planning a biomonitoring study in communities living near oil and gas facilities, including: local exposure sources and

1 identification of chemicals associated with oil and gas
2 extraction activities; potential use of carboxylic's
3 metab -- carboxylic metabolites of PAHs to identify
4 petrogenic sources of PAHs compared to pyrogenic sources;
5 and study of population selection and consideration of
6 planned phase-outs of oil and gas facilities in
7 California.

8 The summary and transcript of the meeting is
9 posted on the March meeting page on the Program's website
10 at biomonitoring.ca.gov.

11 Following the March meeting, we had a -- we held
12 a reception to celebrate the 15th anniversary of the -- of
13 Biomonitoring California. Program leaders, past and
14 present SGP members, and friends of the Program provided
15 brief remarks at the event, highlighting some of the key
16 accomplishments of the Program in its first 15 years.

17 I would also like to announce that OEHHA Director
18 Lauren Zeise retired at the end of June. She had been
19 involved with Bio -- the Biomonitoring California Program
20 since its inception, first as Chief of the Reproductive
21 and Cancer Hazard Assessment Branch, where the
22 Biomonitoring Section is housed, and later in 2016, as
23 OEHHA's Director.

24 During her time at OEHHA, she played an integral
25 role in guiding the Biomonitoring California Program and

1 supporting the mission and goals of the Program and the
2 SGP. We want to thank Lauren for her leadership and
3 guidance and for her service to the people of California.
4 We wish her the very best in her future endeavors.

5 Following Lauren's departure, I will be serving
6 as OEHHA's Acting Director until a new Director is
7 appointed.

8 All right. So, first off, I wanted to announce
9 that Panel Member Ulrike Luderer will be acting as the SGP
10 Chair for this meeting. And I will now invite Panel
11 members to introduce themselves by name and affiliation.
12 We'll start with Jenny Quintana who is attending remotely.
13 Jenny has been granted a reasonable accommodation to
14 attend this meeting remotely and to not appear on camera
15 for the whole meeting. Her remote attendance will count
16 towards the requirement that a majority of the members
17 shall be physically present at the same teleconference
18 location.

19 Jenny.

20 PANEL MEMBER QUINTANA: Hi. My name is Penelope,
21 or Jenny, Quintana. I'm a Professor of Public Health in
22 the San Diego State University School of Public Health.

23 ACTING DIRECTOR EDWARDS: Great. Thanks, Jenny.

24 I will now call on Amy Padula who is also
25 attending remotely.

1 PANEL MEMBER PADULA: Hi. My name is Amy Padula.
2 I'm an Associate Professor in the Department of
3 Obstetrics, Gynecology, and Reproductive Sciences at the
4 University of California, San Francisco.

5 ACTING DIRECTOR EDWARDS: Great. I'll now start
6 to my right with Carl Cranor.

7 PANEL MEMBER CRANOR: Carl Cranor. Until July, I
8 was a Professor of Philosophy and faculty member in
9 environmental toxicology. Now, I will be known as a
10 Professor of the Graduate Division at UC Riverside,
11 because I'm retired officially.

12 ACTING DIRECTOR EDWARDS: Thanks, Carl.

13 Next, we'll go over to Tom McKone.

14 PANEL MEMBER MCKONE: I'm Tom McKone. I'm
15 Professor Emeritus of Public Health at the University of
16 California, Berkeley, School of Public Health.

17 ACTING DIRECTOR EDWARDS: Thanks, Tom.

18 Oliver Fiehn.

19 PANEL MEMBER FIEHN: My name is Oliver Fiehn. I
20 am a Professor at the University of California in Davis in
21 the Genome Center.

22 ACTING DIRECTOR EDWARDS: And Ulrike.

23 ACTING CHAIR LUDERER: My name is Ulrike Luderer.
24 I'm a Professor in the Department of Environmental and
25 Occupational Health in the School of Public Health at UC

1 Irvine.

2 ACTING DIRECTOR EDWARDS: Great. Now, I will
3 hand this off to Acting Panel Chair Ulrike Luderer who
4 will provide more details about today's meeting.

5 ACTING CHAIR LUDERER: Thank you, Dave.

6 So I want to, first of all, just remind Panel
7 members to please comply with the usual Bagley-Keene Open
8 Meeting requirements that all discussions and
9 deliberations of the Panel about the subject matters at
10 issue today need to be conducted during the meeting, not
11 on breaks or with individual members of the Panel on- or
12 off-line, including via phone, email, chats, or text
13 messages.

14 Panel members who have not been granted a
15 reasonable accommodation and are attending remotely must
16 appear visible on camera during the open portion of the
17 meeting. If you are unable to keep your camera on during
18 the meeting because it is technologically impracticable,
19 please make an announcement when you turn your camera off.
20 Additionally, if someone older than 18 is in the room with
21 Panelists who are attending remotely, you must disclose
22 the presence of that person and their general relationship
23 to you.

24 Can the remote attendees confirm whether anyone
25 over 18 years old in the -- is in the room with them?

1 I see heads shaking.

2 PANEL MEMBER PADULA: No one -- no one is in the
3 room with me. Thank you.

4 (Laughter).

5 ACTING CHAIR LUDERER: Okay. Thank you.

6 PANEL MEMBER PADULA: I'll let you know if that
7 changes.

8 ACTING CHAIR LUDERER: All right. Thank you.

9 PANEL MEMBER QUINTANA: No one is in the room
10 either.

11 ACTING CHAIR LUDERER: Thanks.

12 Then I'd like to next announce the Panel goals
13 for the meeting. So first, we're going to hear an update
14 on Program activities, including findings from the East
15 Bay Diesel Exposure Project, or EBDEP, and laboratory
16 method development for analysis of volatile organic
17 compounds, VOC, metabolites in urine. And the Panel will
18 also hear from Program staff and OEHHA on the monitoring
19 of perfluoroalkyl and polyfluoroalkyl substances, known as
20 PFASs, in human populations and fish species in
21 California, and trends of PFASs and persistent organic
22 pollutants, or POPs, among pregnant Californians later
23 this afternoon.

24 There will be time for questions from the Panel
25 and audience after every presentation. And if any of the

1 SGP members wish to speak or ask a question, please raise
2 your hand. I'll call on you at the appropriate time and
3 then you can ask your question or provide your comment.

4 If online webinar attendees have questions or
5 comments during the question periods after each talk, you
6 can submit them via the Q&A Feature of Zoom webinar or by
7 email to biomonitoring@oehha.ca.gov. We won't be using
8 the chat function during this meeting. Please keep your
9 comments brief and focused on the items under discussion.
10 Relevant comments will be read aloud and paraphrased when
11 necessary.

12 If online attendees wish to speak during the
13 public comment periods and discussion sessions, please use
14 the "raise hand" feature in Zoom webinar and Rebecca
15 Belloso or Stephanie Jarmul will call on you at the
16 appropriate time. If you are attending in person and wish
17 to comment during the public comment periods and
18 discussion sessions, please come to the front or raise
19 your hand and I will call on you at the appropriate
20 moment. For the benefit of the transcriber, please
21 clearly identify yourself before providing a comment and
22 write your name and affiliation on the sign-in sheet at
23 the back of the room.

24 So now, I'd like -- it's -- to introduce Nerissa
25 Wu. Nerissa Wu is Chief of the Exposure Assessment

1 Section in the Environmental Health Investigations Branch,
2 EHIB, at the California Department of Public Health and
3 the overall lead for Biomonitoring California. She will
4 provide us an update on current Program activities.

5 (Thereupon a slide presentation).

6 ACTING CHAIR LUDERER: Nerissa.

7 DR. NERISSA WU: Hi. Slide set up here thank
8 you. Welcome, everyone, and congratulations, Carl, on
9 your retirement and to Lauren as well, if you're listening
10 in.

11 I thought I'd start this update with a reminder
12 of our overall programmatic goals just as a way of
13 structuring the Program update. So as I go through the
14 presentation, I'll be talking both about progress we're
15 making as a program overall, as well as on specific
16 projects.

17 [SLIDE CHANGE]

18 DR. NERISSA WU: So our Program goals and
19 priorities are generally derived from mandates in
20 legislation. We regularly take input from this Panel and
21 from stakeholders, and also from our respective
22 departments. And the last time we talked about Program
23 priorities, which was a couple years ago, we identified
24 these as the primary goals.

25 So surveillance, or measuring exposures in a

1 representative sample of Californians. This is the
2 primary part of our legislation. And surveillance would
3 enable us to assess time trends in the context of public
4 health programs and legislation, and also broader
5 phenomena like climate change, which is one of the
6 priorities that this Panel specifically identified. We
7 also want to focus on highly exposed communities and work
8 on mitigating inequities. We want to identify and
9 evaluate strategies for exposure reduction. And we have
10 the long-term goal of expanding the reach and
11 sustainability of the Program.

12 So one of the constants of Biomonitoring
13 California is that we have this very complex and
14 challenging mission, but we are a relatively small
15 program. So one of the other things we've talked about
16 over time is the need to really lean into collaborations
17 to really amplify the impact that we can have as a small
18 program by creating meaningful partnerships.

19 [SLIDE CHANGE]

20 DR. NERISSA WU: So looking at our goals one by
21 one. Again, as I said, one of our primary goals is to
22 look at exposures in a representative sample of
23 Californians and to develop representative, generalizable
24 data that we can use to look at time trends and the effect
25 of environmental policies and programs. So study design

1 and participant selection are really critical to
2 generalizability of surveillance data. And the gold
3 standard for surveillance is random participant selection
4 and a sufficiently robust participation rate, so you're
5 not introducing bias into your data by over- or
6 underrepresenting parts of the population.

7 And this is really a challenge, because
8 participation in surveillance, even for very well
9 established surveillance programs like NHANES, the
10 participation rate has been going down over time. This is
11 something that biomonitoring programs everywhere are
12 dealing with. We do ask a lot of our participants, not
13 only to answer questions, but to provide urine and blood
14 samples. So we need to make those participant protocols
15 as acceptable as possible, so as not to discourage
16 participation.

17 It's also really important as we develop
18 surveillance to develop a system that's stable. We've
19 learned something from each one of our surveillance
20 efforts and created valuable data, but it is a challenge
21 to compare data across studies, because the study design
22 changes. So our goal is to create a surveillance system
23 that gives us a stable ongoing source of data that we can
24 use to understand population exposures and trends.

25 [SLIDE CHANGE]

1 DR. NERISSA WU: So our primary surveillance
2 efforts to date have been the California Regional
3 Exposure, or CARE, Study and STEPS, Studying Trends in
4 Exposure in Prenatal Samples, which is currently in
5 progress. And we're starting to plan for what
6 surveillance will look like after STEPS.

7 We've presented here the data generated by CARE.
8 We have STEPS summary statistics, as well as Toki
9 Fillman's work to look at associations between drinking
10 water and serum PFAS levels in CARE participants. And we
11 still have this rich data set with metals and other
12 analytes, exposure questionnaires, and other information.
13 So we have a lot of analyses in the work, which you'll
14 hear about over time.

15 [SLIDE CHANGE]

16 DR. NERISSA WU: And in STEPS, the laboratory
17 analysis for STEPS has started. We focused first on
18 Orange County samples, about half of which have been
19 analyzed so far. And we're hoping that in the next year
20 we'll be able to present that time trend data for Orange
21 County.

22 So the plan for sample collection for STEPS is to
23 continue through 2027 and the lab work will continue
24 subsequently. And STEPS is going to give us really
25 informative data on PFAS levels in Californians. We have

1 a number of collaborations being developed to look at
2 STEPS to examine the exposure sources, to look at newborn
3 outcomes, and potentially to understand the unmeasured
4 PFAS fraction.

5 But using samples for prenatal samples, as STEPS
6 does, has a number of advantages and disadvantages. The
7 samples are easy to obtain. We can do random selection of
8 sampling, which is all great, but there are limits on what
9 we can measure. We only have serum and it's a fairly
10 small volume and we don't have exposure information from
11 participants. Although, we do have residential address
12 and can do linkages to drinking water source and other
13 exposure sources.

14 So as I said, we'll continue using STEPS for the
15 foreseeable future.

16 [SLIDE CHANGE]

17 DR. NERISSA WU: But our goal for the next
18 surveillance effort is that we'll have a combination of
19 all the best attributes of our prior surveillance efforts:
20 randomized population-based participant selection;
21 collection of urine, blood, and serum in sufficient volume
22 for each of those; and the ability to collect exposure
23 data through participant questionnaires.

24 So our plan right now is our hope to work with an
25 established surveillance program which would give us a

1 frame for random sampling. And that gives us the ability
2 to weight the data and come up with generalizable
3 population data. Working with an established surveillance
4 program also enables us to link to data that they're
5 collecting, which really amplifies our ability to do data
6 analysis. So we still have a lot of details to work out
7 with regard to how we'll interface with an existing
8 surveillance project. And, of course, there's always a
9 challenge of collecting samples in field work. So there
10 are a lot of details to come, which is why it's not
11 scheduled to start up before 2028. But as we develop more
12 details, we'll bring those to this Panel and solicit
13 input.

14 [SLIDE CHANGE]

15 DR. NERISSA WU: The second goal I wanted to
16 highlight is identification of highly exposed communities
17 and working towards equity. So through our AB 617
18 projects and the Asian/Pacific Islander Community
19 Exposures, or ACE, Project, we've been focusing on
20 specific demographics or geographic communities and the
21 unique exposures that they're facing. You'll hear about
22 ACE and the East Bay Diesel Project later today, so I'm
23 just going to give a brief update on the other three
24 projects.

25 [SLIDE CHANGE]

1 DR. NERISSA WU: For BiomSPHERE, biomonitoring
2 component of the San Joaquin Valley Pollution and Health
3 Environmental Research Study, we have data on the urinary
4 biomarkers of response and staff are getting ready to
5 return those results to participants. Staff are also
6 working to evaluate air monitoring and questionnaire data.
7 And we have just received the PAH and VOC data. Staff are
8 just starting to look at that.

9 For FRESSCA-Mujeres, the Farmworker women and
10 Respiratory Exposure to Smoke from Swamp Cooler Air,
11 similarly staff are looking at air monitoring and
12 questionnaire data. The urine samples are at the lab for
13 analysis right now and there is a community meeting being
14 planned for August 2024 to talk about air monitoring
15 results.

16 [SLIDE CHANGE]

17 DR. NERISSA WU: Last time we met, we reported on
18 SAPEP, the Stockton Air Pollution Exposure Project. And
19 at the time, there was some question about the 2-NAP
20 results. It was unclear if it might be related to
21 naphthalene and perhaps carbaryl exposure. The lab was
22 able to do some additional analyses to determine that the
23 exposure is likely not carbaryl, but there still is an
24 outstanding question of why the results were elevated.

25 The results have been returned to participants

1 and a community meeting to discuss the results was held in
2 April, but we're continuing to work on those results and
3 we'll report back as we have other findings.

4 [SLIDE CHANGE]

5 DR. NERISSA WU: On the goal of identifying
6 exposure sources for all of our studies beyond trying to
7 demonstrate a measure of chemical exposures, our primary
8 goal is to determine how people are being exposed. And
9 this is important, so that we can work on reducing
10 exposures on the individual level. You know, what can I
11 do today to reduce my exposures? We have the community
12 level and we also have the policy level, where should we
13 be focusing regulatory or legislative efforts.

14 So we've always collected questionnaire data and
15 residential address, but the Program now has more capacity
16 to conduct the epidemiology needed to identify exposure
17 sources. You heard last month about the association
18 between drinking water and serum PFHxS levels. Today,
19 you're going to hear about consumption of fish and PFAS
20 levels. And in all of our AB 617 work, we have air
21 monitoring data to help us interpret and understand
22 exposures.

23 [SLIDE CHANGE]

24 DR. NERISSA WU: Biomonitoring is really
25 multi-disciplinary and complex. And so one of the ways

1 we've really been expanding our reach and impact is
2 through our partnerships with community organizations,
3 academic researchers, and other State programs,
4 synergistically working together on our mutual goals. And
5 this increased focus on reaching outward has had the
6 effect in the last year or so that our program is getting
7 more notice. We're getting lots of data requests, which
8 is great. Thank you for sending us your colleagues and
9 students. And there's really an increase in the
10 recognition of how valuable our data is. And the hope is
11 that over time this will translate into more support for
12 the Program and eventually allow us to cover even more
13 ground. The staff is super productive, but we're
14 always -- we're always aware of the chemicals that we're
15 not measuring, all the things that we are not able to
16 study.

17 [SLIDE CHANGE]

18 DR. NERISSA WU: And as part of expanding the
19 reach of our Program, the labs continue to expand the
20 number of chemical panels that we can run. So PAH and VOC
21 metabolite assays are now ready for use and you'll hear
22 about the VOC metabolite method this morning and they're
23 continuing to develop methods for PAHs and cyclosiloxanes
24 in serum, as well as non-targeted analysis.

25 [SLIDE CHANGE]

1 DR. NERISSA WU: So we're making really good
2 progress on all of our programmatic goals. And in
3 addition to that overview, I want to highlight a few other
4 program activities, including outreach and communication.
5 We've described the CARE Study report in previous
6 meetings. Both English and Spanish versions have been
7 posted on our website. On April 18th, we held an open
8 webinar. We invited CARE participants, community
9 partners, local health jurisdictions and researchers, and
10 other biomonitoring programs.

11 The webinar was presented in English with
12 real-time Spanish translation. And we had almost 200
13 participants in the webinar, which was great. Lots of
14 very active dialogue. Lots of questions back and forth,
15 including a discussion through email which continued for
16 some time with some participants, which really
17 demonstrated an engagement and an interest in
18 biomonitoring, both on an individual and a community
19 level.

20 [SLIDE CHANGE]

21 DR. NERISSA WU: We also had a public event to
22 discuss the results of the Stockton Air Pollution Exposure
23 Project. Flyers went out to parents of the students at
24 the school where the study was conducted, the All Saints
25 Academy of Stockton. Participant families, community

1 partners, community members, including teachers from the
2 school, were at the meeting. Again, it was online
3 available in English and Spanish through real-time
4 translation. And there was a good discussion about local
5 exposure sources, exposures in the home and through
6 consumer products. And we got the feedback that people
7 really appreciated the data that was generated and the air
8 filtration that was provided to the school.

9 [SLIDE CHANGE]

10 DR. NERISSA WU: Just finishing up with some
11 quick lab updates. EHL is continuing to work on CARE-LA
12 samples so that we will have population level data for
13 speciated arsenic and phenols. We actually just got the
14 speciated arsenic data. We should have phenols later this
15 summer, so we'll be working on summary statistics and
16 getting results back to participants.

17 The lab has also been busy measuring specific
18 gravity and creatinine to do dilution correction for 194
19 BiomSPHERE samples. We just about finished up with 155
20 FRESSCA samples. And now they're working on PAH analyses
21 for FRESSCA-Mujeres.

22 EHL has also been completing analysis of our
23 Intra-Program Pilot study samples and results are in the
24 queue ready to be reviewed.

25 And over in ECL, focusing on STEPS, we have a

1 queue of over a thousand samples waiting for PFAS
2 analyses. And as I mentioned over half of the Orange
3 County samples have been analyzed.

4 So lots of progress there.

5 [SLIDE CHANGE]

6 DR. NERISSA WU: And just additional news, EHLB
7 has been able to add some new machines to the lab, which
8 will enable some more efficient processing of our samples.

9 [SLIDE CHANGE]

10 DR. NERISSA WU: So just another way to look at
11 the team's work over time and think about how the Program
12 projects into the future is to look at the various
13 activities related to different stages of study design and
14 implementation. So for any given study, we go from
15 planning to field work and sample collection. We have lab
16 analysis and reporting. We create summary statistics and
17 results return before we dive deeper into the data and
18 look at exposure sources, and finally communicating them
19 out to various audiences. So in order to keep the Program
20 moving efficiently, at any given time, we have to have
21 multiple studies at all different phases of this -- of
22 this continuum.

23 So we are actively collecting samples in the
24 field with STEPS. And at the same time, we do have
25 samples from STEPS, BiomSPHERE, FRESSCA, and CARE at the

1 lab. Our epidemiologists are working on the IPP, CARE,
2 BiomSPHERE, and FRESSCA data, getting that back to
3 participants and having it summarized for publication.
4 They're also doing more detailed analysis of CARE, ACE,
5 EBDEP, MAMAS, and SAPEP data.

6 Our communications team is working to distribute
7 the findings for FREES, ACE, CARE, and SAPEP, while also
8 working on chemical fact sheets and more general
9 public-facing material. And while all of this is going
10 on, we're planning for the future by working on future
11 protocols for community-based studies and for
12 surveillance. And this is what keeps our Program moving
13 forward and looking to the future. Of course, our labs
14 are working on new analytical methods that we can use on
15 all of those new studies.

16 [SLIDE CHANGE]

17 DR. NERISSA WU: So this is the team that gets
18 all of this work done. I just have two staff changes to
19 report. Joginder Dhaliwal who's been at ECL for some
20 years has left the Program. So thank you Joginder for all
21 of your work and Dr. Wenlu Song, who's the new Chief of
22 the Inorganic Unit in EHLB. Happy to have you join us.
23 Welcome.

24 And if you are interested in joining the
25 Biomonitoring team, please visit this website and we'll

1 have some job openings posted during the break as well.

2 And with that, I will not show you extra slides.

3 I will take questions.

4 ACTING CHAIR LUDERER: Thank you very much,
5 Nerissa, for that overview. We'll start with questions --
6 or more clarifying questions from Panel members and then
7 we'll have time for open discussion after that.

8 Tom.

9 PANEL MEMBER MCKONE: Thank you. It's always
10 amazing how much is going on, I mean, especially since we
11 went through a couple of years where we couldn't do very
12 much because of COVID, but an impressive list of
13 accomplishments.

14 In that last slide about the various stages of
15 studies, the planning phase. So early in the -- in
16 your -- I think your second slide or one of the early
17 slides, one of the goals that was added was to do
18 something on tracking how climate change affects exposures
19 or what metrics we could -- you know, we could be looking
20 at for that. Is that in some sort of planning phase or is
21 there a separate program to look at that or is that still
22 like before planning in its --

23 DR. NERISSA WU: Well, we don't have something
24 explicitly focused on climate change right now. I think
25 there's recognition that in order to really do time

1 trends, we need to have an established surveillance system
2 that can have an unbiased generalizable population sample.
3 So I think getting that set up will help serve this
4 overall goal of looking at how air pollutants, for
5 example, are changing over time.

6 ACTING CHAIR LUDERER: Oliver.

7 PANEL MEMBER FIEHN: Yeah, thank you. I'm
8 equally impressed, but I'm also equally interested in the
9 future, because that's, of course, something we can change
10 or think about. So I think I had two questions. One is
11 if people are staying more and more indoors, what are, you
12 know, the plans to monitor more the indoor activities?
13 You know, as we see -- you know, just picking up on
14 climate change. It's getting hotter and hotter. So
15 people will stay more indoors. So that's the first
16 question. The second question I had is deeper data dive.
17 What are you planning there?

18 DR. NERISSA WU: Don't you want to wait and find
19 out when we present it?

20 Well, for the indoor air pollution, that's a good
21 point, that our environment is changing overall, whether
22 it's with related -- related to climate change or other
23 things. I think some of the work being done with the AB
24 617 communities with air filtration and what people can do
25 to impact their indoor environment is a great step towards

1 that. I think we're also learning a lot about how those
2 questionnaires should be developed in order to capture the
3 relevant information that we need to know to interpret
4 that, and in addition, the kinds of environmental sampling
5 that we need to do to collect that. So maybe when we're
6 talking about AB 617, somebody could elucidate on that.

7 In terms of the deeper data dive, I mean beyond
8 the summary statistics, you've seen a lot of modeling work
9 being done to connect, for example, drinking water with
10 PFHxS levels. That involves a lot of geographic analyses.
11 So having the residential address and looking at exposure
12 sources which might be drinking water source, or
13 industrial, or highways, there's a lot of -- I think we
14 have a lot of hopes for the CARE data with that, as well
15 as STEPS, since we do have the residential addresses, but
16 also using our exposure questionnaires. And they're
17 tricky, because you need to ask the right questions and
18 get the right distribution of answers in order to be able
19 to find something in your model. But there is a lot of
20 focus on using that data going forward, as well as the
21 environmental data, to discern what the exposure sources
22 are.

23 ACTING CHAIR LUDERER: I have a question. And
24 again, looking -- the various studies in progress is
25 really quite impressive and all the work that's been going

1 on in this program and the work that -- the studies that
2 are coming out, the results. My question was you
3 mentioned that in the future working with established
4 surveillance programs was one goal of the Program. And
5 I'm wondering if you have any surveillance programs in
6 mind that you're thinking about working with.

7 DR. NERISSA WU: We have talked to a couple, one
8 being the statewide California Health Information Survey,
9 and the other is Maternal and Infant Health Assessment.
10 We're not at a point of agreement. We haven't negotiated
11 a working relationship with them yet, but we are exploring
12 the possibility of working with either of those.

13 ACTING CHAIR LUDERER: Great. Thank you.

14 And I see two raised hands. Jenny, would you
15 like to go first and then Amy.

16 PANEL MEMBER QUINTANA: I think Amy was first
17 actually, temporally.

18 ACTING CHAIR LUDERER: Okay. I saw your hand
19 first. Sorry.

20 (Laughter).

21 PANEL MEMBER PADULA: I'll start, if you want.
22 Either way is fine though. I guess, I just had a quick
23 question about the PAHs that are being measured. It
24 looked like from the slides that they'll all be done in
25 urine. I was wondering if that was indeed true or if any

1 will be tested in blood samples in the future?

2 DR. NERISSA WU: Currently, the method we have
3 for PAHs is for urinary metabolites. DTSC staff is
4 working on a PAH parent compound in serum. I don't know
5 if -- June-Soo is here. I don't know if you want to add
6 to that, June-Soo?

7 We can't hear you up here.

8 DR. JUNE-SOO PARK: Yeah. Yeah. We are working
9 on it. Dr. Amber Kramer and Eimi, the APHL fellow,
10 working on the PAHs in blood. So we just reviewed the
11 data yesterday. It looks good. They're making good
12 progress. That's all I have.

13 ACTING CHAIR LUDERER: Jenny.

14 PANEL MEMBER QUINTANA: Hi. Can we go back to
15 the slide with the vulnerable communities. I think it was
16 one or two slides back, maybe a lot of slides back.
17 Sorry. Yeah. Right here.

18 I guess one kind of really general thing to think
19 about for the future I think is how is California
20 different from the rest of the country? Like what
21 monitoring would be especially important for us to do that
22 would give information beyond what the NHANES-based CDC
23 analysis is doing? So I think it's worth some thinking
24 about if we're focusing on specific communities to really
25 think about what is different here in California to really

1 get the most bang for our buck in a sense.

2 And I know we've discussed this before, but I
3 think some things that make us different are high levels
4 of immigrant communities, a lot of refugee communities. I
5 know in San Diego where I live is one of the centers for
6 refugees for various different areas. And so I think some
7 of those -- and they come with perhaps a higher body
8 burden already, then they're already add -- that they
9 might be adding to, so they might be especially at risk,
10 for example. So I just think we should maybe discuss as
11 we move forward, you know, how best to focus on what is
12 either unique or more prevalent in California, in terms of
13 exposures or populations.

14 Thank you.

15 DR. NERISSA WU: Thanks for that comment. Those
16 are really great points. I think with some of the work
17 that Kelly is going to present this afternoon, there's
18 definitely some -- there's definitely concern about
19 populations including immigrant populations that are more
20 impacted by -- because of their diet and because of their
21 reliance on subsistence fishing potentially. Central
22 Valley work is a concern. There's agriculture and a
23 particular geographic structure that makes that area
24 particularly vulnerable. But the other thing that we have
25 in our studies that we cannot get from NHANES is the

1 geographic analyses, approximated sources, but also some
2 of this behavioral work. So in addition to studying
3 exposures that might not be studied in NHANES, I think the
4 ability to really tease out some of those distinctions is
5 important.

6 PANEL MEMBER QUINTANA: Thank you.

7 STEPHANIE JARMUL: Ulrike, this is Stephanie
8 Jarmul. We have one attendee with their hand up and then
9 a comment in the chat. So I'll let Ken unmute himself and
10 speak.

11 KEN SZUTU: Good morning, everyone. This is Ken,
12 Ken Szutu from Citizen Air Monitoring Network in Vallejo,
13 California. I saw there is one item, which is looking for
14 community to participate. Currently, Citizen Air
15 Monitoring Network has a grant from CARB doing black
16 carbon monitoring in our city. And also at the same time,
17 we work with UC Davis Air Quality Research Center PM
18 speciation. And I think many people in my community are
19 interested in biomonitoring, especially including Vallejo
20 and several surrounding city, which basically we are in a
21 refinery community. So my question is, is there any
22 possibility to join this program and what is the process?
23 Thank you very much.

24 DR. NERISSA WU: Thanks for your question, Ken.
25 I'm actually going to defer this to Stephanie, because

1 this is more of an AB 617 question.

2 STEPHANIE JARMUL: Hi, everyone. Yeah, thanks
3 for that question, Ken, and I think it's kind of similar
4 to the one we got in the chat too, but -- so there's a lot
5 of factors that we consider when choosing to go into a
6 community to conduct a biomonitoring study, but we are
7 always open to having conversations with different
8 community groups, concerned community members about
9 potential collaboration opportunities. And so perhaps we
10 could schedule a meeting after the SGP to talk about your
11 particular situation and what you would hope to achieve
12 with a biomonitoring study.

13 KEN SZUTU: Okay. Thank you very much.

14 ACTING CHAIR LUDERER: Stephanie, you said there
15 was another question in the chat, but did you kind of just
16 answer that?

17 STEPHANIE JARMUL: Well, I'll read it aloud
18 anyways.

19 ACTING CHAIR LUDERER: Okay.

20 STEPHANIE JARMUL: How do you identify your
21 community-based studies? Do community members reach out
22 to you directly with concerns or does your team identify
23 possible exposure hot spots from previously collected
24 data?

25 Well, I can talk a bit about the AB 617 studies.

1 So it's a bit of a combination. As I was just saying with
2 Ken, there's a lot of factors you have to take into
3 account, such as what is the exposure of concern. You
4 know, are there biomonitoring methods to identify -- you
5 know, if it was metals or, you know, we often look at
6 PAHs, VOCs. But if there's something else that perhaps we
7 don't have the methods for, we'd have to consider that.
8 Also, geographic location, you know, what are the exposure
9 sources nearby, and if it's something with that we can --
10 we can potentially look at.

11 And, yeah, I think we are trying to learn from
12 our past studies, just speaking with different
13 communities. And we've conducted a lot of listening
14 sessions with our communities to learn about their
15 exposure concerns and what they hope to see from the
16 Program. So we're trying to work off of that information
17 and identify both community collaborators and academic
18 collaborators that would really help build a robust study.
19 That's it. And Nerissa, if you wanted to add.

20 DR. NERISSA WU: Yeah, I wanted to add on that,
21 for example, the Asian/Pacific Islander Community
22 Exposures Project was built because we had seen in the
23 data from the BEST and from other studies that Asians were
24 -- had elevated PFAS levels, but it wasn't well understood
25 why that might be and whether there's variability due to

1 other factors in the Asian community. So that's how the
2 Asian/Pacific Islander Community Study was born.

3 And we have learned much more about the exposure
4 process. And also, as you'll hear this afternoon both in
5 ACE and MAMAS, we've learned much more about
6 subpopulations in the Asian community.

7 ACTING CHAIR LUDERER: All right. Thank you. We
8 have some time now for open discussion among the Panel
9 members. Anyone want to start?

10 Tom.

11 PANEL MEMBER MCKONE: All right. It seems like I
12 always start.

13 (Laughter).

14 PANEL MEMBER MCKONE: I'd like to go back. And
15 at least some of us have some interest in the climate, how
16 we use biomonitoring with regard to climate change. And
17 I'm thinking that we might want to schedule a period of
18 discussion at a future meeting about what would -- what
19 that might entail. I think we all have some ideas and
20 they're probably a little different. And maybe we should
21 see where we converge and what's possible. Like should we
22 be looking at, I mean, the issue of do people spend more
23 time indoors and would we see that in biomonitoring, but
24 there's also questions about fire -- wildfire exposures
25 going up and what would that look like? Could we find

1 that? Could we see the trends?

2 If there's a drought and it affects the
3 availability of water, that could increase water
4 pollutants. I mean, there's a number -- and even quite
5 relevant to today, where I think it's going to be 107
6 here. I'm glad we're inside. Are there ways to see
7 markers of heat stress? And that would be a bit advanced
8 but maybe that's something we might want to talk about,
9 because it's very realistic that California is going to be
10 seeing more of these long-term heat wave events so is the
11 rest of the country.

12 So again, these are just some ideas. And I don't
13 think we can resolve -- it's not really appropriate today,
14 but if we could carve out a short period of time about
15 what would we do for climate in a biomonitoring context,
16 and what could we do short-term, what could we do
17 long-term, what would this -- you know, what would this
18 take just so the Panel can engage with the staff on it.

19 DR. NERISSA WU: Thank you.

20 ACTING CHAIR LUDERER: Oliver, did you have a --

21 PANEL MEMBER FIEHN: No.

22 ACTING CHAIR LUDERER: No. Okay.

23 I just did have one question kind of going back
24 to, you know, availability of samples that are more
25 population representative. And I know at several meetings

1 we've talked about developing methods for measuring
2 different analytes in the newborn blood spots. And I was
3 wondering if there is any -- is that still ongoing or not?

4 DR. NERISSA WU: We are not working on newborn
5 blood spots right now. APHL has actually come out with a
6 statement against using newborn blood spots for
7 biomonitoring, in part because of the technical
8 difficulties and the representation of the blood spot
9 of -- you know, compared to a venal blood sample, but also
10 because of participant rights. Not all states have the
11 same kind of consent process that the California Newborn
12 Screening Program has. And that's created some issues
13 with researchers in other states.

14 So at this point, we have not continued that.
15 The other thing I guess I would say about newborn blood
16 spots is they are -- you can probably get around this
17 through using part of the card -- the newborn card as a
18 blank, but they are not really stored in a way that is
19 protective from other environmental contaminants. So, I
20 do have concerns about what the blood spot might represent
21 also.

22 ACTING CHAIR LUDERER: Thank you. I think --
23 is -- are there any other public comments for this part of
24 the discussion? I just wanted to check with Stephanie and
25 Rebecca about that.

1 STEPHANIE JARMUL: Nothing online. I can see Amy
2 had her hand up though. I don't know.

3 ACTING CHAIR LUDERER: I was just about to say
4 that, yes.

5 Amy.

6 PANEL MEMBER PADULA: I just wanted to follow up.
7 I agree with the issues with the blood spots, but I was
8 also curious with respect to available samples, whether
9 the maternal samples that are taken for screening tests
10 during pregnancy may be more suitable for biomonitoring
11 and whether there's any plan to evaluate those.

12 DR. NERISSA WU: We are using samples from
13 prenatal screening, second trimester, that we get from
14 Biobank, both from the MAMAS study, which you'll hear
15 about this afternoon from Dina Dobraca, and also STEPS.
16 That's all based on Biobank samples. So, it's a great
17 resource. It's amazing that we can use the prenatal
18 screening program as a sampling frame and really get a
19 population sample. So we will be able to do some time
20 trend work looking at PFASs over time in several different
21 counties. But they are only -- they are only banked for
22 have seven different counties. And it is a very small
23 volume and it's only serum.

24 So, as I said, we're going to have amazing data
25 from STEPS. And there's a lot we can do with that data,

1 but there are all these other chemicals that we would like
2 to look at. Particularly, we're missing all the whole
3 blood and urinary samples. And it has been a challenge to
4 think about how to use that very small volume in the best
5 way. You know, it's precious to us, so we're thinking
6 about pooling. We're thinking about other ways we can
7 leverage this resource, for as much data as we can, but
8 those challenges remain.

9 The other thing is that the Prenatal Screening
10 Program is changing. It has always been -- or for the
11 last ten years or so has been covering about 70 percent of
12 pregnant women or pregnant Californians. And at this
13 point, that demographic is changing. They have introduced
14 a new screening modality for first trimester, which is
15 outside of the State program. So the sampling frame
16 itself is going to change. It's only a year or two old at
17 this point, so the representativeness is something that
18 we're really paying attention to.

19 ACTING CHAIR LUDERER: All right, any -- just
20 turning to see if there are any additional comments or
21 questions from the Panel?

22 And not seeing any, then thank you very much,
23 Nerissa, for that great presentation.

24 And I would like to introduce our next speaker,
25 Aalekhya Reddam, who is a Research Scientist in the Safer

1 Alternatives Assessment and Biomonitoring Section at
2 OEHHA. And she's going to give a presentation on
3 additional findings from the East Bay Diesel Exposure
4 Project, EBDEP.

5 Aalekhya.

6 (Thereupon a slide presentation).

7 DR. AALEKHYA REDDAM: Thank you. Good morning,
8 everyone. Today, I will be giving an update on the East
9 Bay Diesel Exposure Project and all the work that's been
10 done since you last heard about the results from the
11 study.

12 Before I jump into the presentation, I would
13 specifically like to thank Dan Sultana and Kelsey Ranjbar
14 for all the analysis they've done for this project. Thank
15 you guys.

16 [SLIDE CHANGE]

17 DR. AALEKHYA REDDAM: So there were a few main
18 project goals for EBDEP. The first one was to assess
19 exposures to diesel exhaust in impacted communities of the
20 East Bay. We also wanted to evaluate predictors of diesel
21 exhaust exposure using predictors, for example, such as
22 traffic density. We wanted to compare daily measurements
23 of exposure biomarkers in parent-child pairs to increase
24 our understanding of exposure patterns, specifically
25 between communities, within communities, over time, and

1 also within families. We also wanted to evaluate the
2 effectiveness of diesel regulations in California and
3 engage with community and policymakers about study
4 results.

5 [SLIDE CHANGE]

6 DR. AALEKHYA REDDAM: Our study population
7 consisted of 40 parent-child pairs. We collected
8 environmental and biological samples and questionnaire and
9 activity data between January 2018 and February 2019. And
10 as you can see in the map over here, we -- our
11 participants were recruited from various cities along the
12 East Bay. We had two sampling rounds in our study to help
13 evaluate exposures over time.

14 In Round 1, we collected air, dust, and urine
15 samples and in Round 2, we collected just air and urine
16 samples. Our air samples were collected over a span of
17 four days and our dust samples were collected from a
18 vacuum bag or canister. And when that wasn't available,
19 we collected a sweeping sample. From our 40 families, 25
20 families gave one urine sample per participant per round
21 and 15 families gave four urine samples per participant
22 per round, so that we could evaluate within variability
23 and between subject variability.

24 [SLIDE CHANGE]

25 DR. AALEKHYA REDDAM: As I mentioned before, one

1 of our main goals in EBDEP was to assess exposure to
2 diesel exhaust. 1-nitropyrene, or 1-NP as I'll be
3 referring to during the presentation is formed during the
4 combustion by nitration of polycyclic aromatic
5 hydrocarbons, or PAH, within the diesel engines. It is
6 the most abundant particle associated nitro-PAH in diesel
7 exhaust and is thought to be more specific than other PAHs
8 when indicating exposure to diesel exhaust.

9 6-hydroxy-1-nitropyrene or 6-OHNP and
10 8-hydroxy-1-nitropyrene, or 8-OHNP, are urinary
11 metabolites -- are two of the urinary metabolites of 1-NP
12 and are thought to be used as exposure biomarkers to
13 diesel exhaust.

14 [SLIDE CHANGE]

15 DR. AALEKHYA REDDAM: As I mentioned before, we
16 collected urine samples, air samples, and dust samples.
17 And most of these samples were analyzed by Chris Simpson's
18 lab at the University of Washington, but the black carbon
19 was analyzed by the Lawrence Lab at UC Berkeley. In our
20 urine samples, we measured 1-NP metabolites, 6-OHNP and
21 8-OHNP, one of the pyrene metabolites, 1-hydroxypyrene, as
22 well as metabolites of volatile organic compounds.

23 In our air and dust samples, we measured 1-NP,
24 2-nitropyrene, or 2-NP, 2-nitrofluoranthene and
25 additionally measured black carbon in our air samples.

1 [SLIDE CHANGE]

2 DR. AALEKHYA REDDAM: The preliminary results
3 from EBDEP were presented at the November 2019 SGP meeting
4 and they were also finalized and published last year.
5 This paper included a description of the EBDEP project,
6 demographics of our participants and also correlation and
7 summaries of 1-NP in air and dust and 1-NP metabolites.

8 The major conclusions were that at least one 1-NP
9 metabolite was present in 97 participants of -- 90 percent
10 of our urine samples. We also saw that urinary 1-NP
11 metabolite levels were generally higher in fall and winter
12 months compared to our spring and summer months. Urinary
13 6-OHNP was significantly higher in parents compared to
14 children. And the same was true for 8-OHNP as well, but
15 it wasn't significant.

16 We see that children urinary 8-OHNP were weakly
17 correlated with 1-NP in air and dust, and air and dust
18 1-NP levels were higher in homes with high CalEnviroScreen
19 diesel particulate matter score and these were our main
20 conclusions.

21 [SLIDE CHANGE]

22 DR. AALEKHYA REDDAM: All the EBDEP demographic
23 results were discussed in November 2019 SGP meeting and
24 also presented in the published paper. But just as a
25 quick recap, for the parents, 95 percent of the

1 participants were female and five percent were male.

2 Whereas, in our children, our distribution was a little
3 more even with 52.5 percent being female and 47.5 percent
4 as male.

5 The average age of our parents were 36.6 years
6 old and our children were quite young with the average age
7 being 4.7 years old. Lastly, in our parents, five percent
8 were American Indian/Alaskan native or native
9 Hawaiian/other Pacific Islander, five percent were Asian,
10 20 percent were Black/African American, 40 percent were
11 Hispanic/Latino, 35 percent were White, and 2.5 percent
12 preferred not to say. And the ethnic distribution of our
13 children were very similar to those of our parents.

14 [SLIDE CHANGE]

15 DR. AALEKHYA REDDAM: So with that, we had two
16 main aims with our additional analysis that we completed.
17 One was to use 1-NP in air, dust, and its metabolites in
18 urine to examine geospatial predictors of diesel exposure
19 and our second aim was to examine predictors of VOC
20 metabolites.

21 [SLIDE CHANGE]

22 DR. AALEKHYA REDDAM: As we didn't have a lot of
23 participants who are exposed to diesel occupationally, we
24 used geospatial predictors. Previous research has shown
25 that spatial characteristics, such as traffic volume, road

1 density, and population density have been useful in
2 predicting traffic related air pollution. So we thought
3 it could potentially be used to predict diesel exposure.
4 ArcGIS was used to create individual spatial predictor
5 variables for each household for multiple buffer zones.
6 So using our Oakland OEHHA office as a surrogate for our
7 participants residence, we can see the five different
8 buffer zones that were evaluated in the analysis. So we
9 had 150, 350 meters, 500 meters, 1,000 meters, and 2,000
10 meters.

11 [SLIDE CHANGE]

12 DR. AALEKHYA REDDAM: Within these different
13 buffers zones, we used publicly available data, mostly
14 from Caltrans, to generate a suite of geospatial
15 predictors for each individual participant. For example,
16 you can see in this map that the blue dots are bus stops
17 and all the highlighted lines, which are blue, gray, and
18 yellow -- I'm not sure if you can see it very clearly in
19 the room, but those are major roads. We compiled all this
20 data for each buffer zone for each participant -- in
21 relation to the participant.

22 In addition to major roads and bus stops, we also
23 calculated distances to different types of major roads,
24 the length of bus routes and other types of roads,
25 different types of traffic densities, as well as counts of

1 permitted sources. An example of these permitted sources
2 are gas stations, or hospitals, or generators, or
3 stores -- approved generators for stores.

4 [SLIDE CHANGE]

5 DR. AALEKHYA REDDAM: We then use this data to
6 examine associations with geospatial predictors and 1-NP
7 in air and dust and its metabolites. All the
8 concentrations were log transformed and the urinary
9 concentrations were adjusted for specific gravity. As
10 most households had only one dust collection, we used
11 linear regression models for associations between 1-NP in
12 dust and geospatial predictors. For the few households
13 that had more than one measure, we averaged the dust
14 concentrations.

15 We used mixed effect models for associations with
16 1-NP in air, and 1-NP metabolites to account for their
17 multiple measures. And the models with the metabolites
18 were adjusted for relevant covariates. So in adults, the
19 models with metabolites were adjusted for season, income,
20 candle use, sweep frequency, types of food consumption,
21 presence of gas dryer and washer in adults. And in
22 children, the models were adjusted for season. We chose
23 these covariates based on their association with the
24 metabolites and selected ones that we thought were most
25 relevant for the model.

1 [SLIDE CHANGE]

2 DR. AALEKHYA REDDAM: So all the data from the
3 results are presented in this table. Each check mark
4 represents a significant association and all the
5 associations were positive. So, for example, in the first
6 row, we see that all traffic densities at each of the five
7 buffer zones were significantly positively associated with
8 dust.

9 So there's a lot of data here, but I think our
10 main takeaway from this table is that 1-NP in house dust
11 had more significant associations with spatial predictor
12 variables than air concentrations of 1-NP. Dust usually
13 represents a more stable matrix in air and therefore may
14 be more indicative of chronic human exposure. And
15 moreover, geospatial predictors that are further away are
16 thought to contribute more to ambient exposure versus
17 closer radii are thought to contribute more to personal
18 exposure.

19 We did have one participant that had very high
20 concentrations of dust. I think they were orders of
21 magnitude higher than the next one. And in sensitivity
22 analysis when we've removed this participant, we lose some
23 of the significant associations but the direction is still
24 the same.

25 Our 1-NP metabolites were only significantly

1 associated with the length of major roads and only in our
2 adult participants.

3 8-OHNP was significantly associated with length
4 of major road at 150, 350, 500, and 1,000 meter radius.
5 And 6-OHNP was only significantly associated in a thousand
6 meter radius. When we ran the analyses with the
7 metabolites summed, we see a similar direction, which is
8 positively associated, but we do lose some of the
9 significant associations as well.

10 [SLIDE CHANGE]

11 DR. AALEKHYA REDDAM: Now, we move on to our
12 second aim, which was to examine predictors of VOC
13 metabolites. These results were actually just returned to
14 our participants earlier this year. So this is the first
15 time that these results are being presented.

16 [SLIDE CHANGE]

17 DR. AALEKHYA REDDAM: Volatile organic compounds,
18 or VOCs, are a class of compounds that are
19 carbon-containing chemicals, which vaporize and can enter
20 the body through normal breathing. And as we can see in
21 this image, there are several indoor and outdoor sources
22 of VOCs.

23 In EBDEP, 13 VOCs were specifically selected
24 based on their associations with diesel exposure. And we
25 wanted to examine their association with predictors of

1 traffic related air pollution, once again using our
2 geospatial predictors and also with other participant
3 characteristics and indoor sources using our information
4 from the questionnaires.

5 As a quick note, the measuring of the VOC
6 metabolites was added a little further on in our project.
7 And therefore, while we have some questions that might be
8 relevant to the concentrations of VOC metabolites, we
9 weren't able to account for all potential predictors.

10 [SLIDE CHANGE]

11 DR. AALEKHYA REDDAM: So as I mentioned before,
12 we had 13 VOC metabolites and these were analyzed in the
13 urine by the CDC. And as these were run by the CDC, we
14 have a few more VOC metabolites than our SAPEP and
15 BiomSPHERE studies, which are run by UCSF.

16 The next presentation is actually by our
17 Environmental Health Lab and they'll talk about their
18 progress with their VOC method, which we hope to
19 incorporate in our future studies, which is really
20 exciting.

21 From this table, we see that other than one of
22 the benzenes metabolite PMA, the detection frequencies for
23 all of the metabolites were measured above 70 percent.
24 And then other than acrylonitrile's metabolites, CYMA, all
25 levels were higher in children compared to parents.

1 [SLIDE CHANGE]

2 DR. AALEKHYA REDDAM: We initially adjusted for
3 metabolite concentrations with creatinine, so that we
4 could compare our concentrations with NHANES. However,
5 for our analyses, we adjusted for specific gravity and log
6 transformed the concentrations. Similar to the 1-NP
7 analysis, we used mixed effect models to account for
8 multiple samples. We initially ran the associations with
9 participant characteristics and relevant predictors and
10 then used the significant associations and ones that we
11 thought were important in the model to look in our models
12 with the geospatial predictors.

13 For our adults with the geospatial predictor
14 models, we adjusted for season, income, candle use and
15 presence of gas dryers and children, adjusted for only
16 season. Furthermore, when running the models with the
17 participant cities to ensure a more even distribution, we
18 binned the participants into Richmond, Oakland, and all
19 other cities were binned into an Other category, an Other
20 city. And this was again just to ensure more even
21 distribution of participants.

22 [SLIDE CHANGE]

23 DR. AALEKHYA REDDAM: When examining the
24 correlation of the VOCs, all of them were positively
25 correlated with each other. However, only a few were very

1 strongly correlated with each other and we defined this as
2 a Spearman correlation coefficient of more than 0.6. We
3 see that ethylbenzene and styrene metabolites, PHGA and
4 MADA, were strongly correlated with each other, which
5 could be attributed to their common parent compound.

6 We see that isoprene, acrylonitrile, and
7 1,3-butadiene metabolites were strongly correlated with
8 each other, and they're often used in conjunction with
9 each other for consumer products to make rubber, so that
10 could possibly be the reason for the strong correlation.

11 We also see that acrylonitrile metabolite and
12 xylene metab -- one of the xylene metabolites, 2MHA, was
13 strongly correlated with each other, which could also
14 suggest common use patterns. And then acrolein
15 metabolites, CEMA and HMPA, were strongly correlated with
16 each other, which again can be potentially attributed to
17 their common parent compound, acrolein.

18 [SLIDE CHANGE]

19 DR. AALEKHYA REDDAM: When -- we then compared
20 our creatinine-adjusted concentrations of the VOC
21 metabolites to levels from NHANES. We compared our parent
22 levels to those of adults in NHANES and our children
23 levels to those in the closest NHANES reference group,
24 which was between three to five years old. And just as a
25 reminder, our children -- our mean age for our children

1 was 4.7 years old.

2 [SLIDE CHANGE]

3 DR. AALEKHYA REDDAM: So to focus a little bit
4 more, the metabolites that were higher in our EBDEP
5 population compared to NHANES are highlighted. Moreover,
6 there were five metabolites where the 95 percent
7 confidence intervals from the two populations don't
8 overlap and we counted this as significant.

9 So in our adult populations, we saw higher levels
10 of the metabolites of acrolein, benzene,
11 ethylbenzene/styrene, and propylene oxide in our EBDEP
12 population compared to NHANES. And the isoprene
13 metabolite was significantly higher in our child
14 populations compared to the reference NHANES population of
15 three to five years old.

16 [SLIDE CHANGE]

17 DR. AALEKHYA REDDAM: There are potential --
18 there are several potential sources of the VOCs for which
19 we saw higher urinary biomarker levels in our EBDEP
20 population and a few of them are highlighted here in this
21 table. Four out of the five VOCs shown here are products
22 of combustion fuels or combustion of automobile exhaust.
23 But several of them are also used in the creation of
24 plastics, rubbers, and are detected in our consumer
25 products.

1 [SLIDE CHANGE]

2 DR. AALEKHYA REDDAM: When looking at
3 associations between VOC metabolites and demographics, we
4 see that participants with the lowest income had a higher
5 concentration of total VOC metabolites and higher
6 concentration of xylene metabolites compared to
7 participants in the higher income category. And then when
8 looking at city of residence, we see the participants who
9 lived in Oakland had higher concentrations of total VOC
10 metabolites compared to Richmond. And just as a reminder,
11 our participants were binned into Oakland, Richmond, and
12 other.

13 And lastly, after adjusting for city of
14 residence, our Black participants had higher
15 concentrations of xylene metabolites and benzene
16 metabolites compared to white participants. We did adjust
17 for city in this model specifically, because all our Black
18 participants lived in Oakland and we wanted to ensure that
19 the association results weren't as a result of city
20 residence.

21 [SLIDE CHANGE]

22 DR. AALEKHYA REDDAM: We also looked at
23 associations between VOC metabolites and potential
24 predictors based on the questionnaire data. We see that
25 candle use in the past three days was associated with

1 higher total VOC metabolites in adults and children and
2 higher benzene and isoprene metabolites in adults. We see
3 that gas stove use in the past three days was associated
4 with higher ethylbenzene/styrene metabolite and benzene
5 metabolite in children. And gas washer and gas dryer in
6 the house was associated with higher ethylbenzene
7 metabolite in children and gas dryer only was associated
8 with higher total VOC metabolites in adults.

9 [SLIDE CHANGE]

10 DR. AALEKHYA REDDAM: Lastly, we examined
11 associations with the same geospatial predictors that we
12 mentioned before with the total VOC metabolites and found
13 that traffic density was associated with higher total VOC
14 metabolites in adults. And then we also see a similar
15 trend that we saw with the 1-NP metabolites, where the
16 length of major road was associated with total VOC
17 concentration at 150, 350, and 500 meter radius in adults,
18 and 150 meter radius in children.

19 [SLIDE CHANGE]

20 DR. AALEKHYA REDDAM: So with all of that, our
21 conclusions from these additional analysis is that 1-NP in
22 air and dust was significantly associated with several
23 geospatial predictors of traffic. And we see that 1-NP
24 metabolites in urine was positively associated with length
25 of major roads. For our VOC metabolites, we see that they

1 were significantly associated with demographic variables,
2 with gas appliances and candle use, as well as traffic
3 density and length of major roads.

4 [SLIDE CHANGE]

5 DR. AALEKHYA REDDAM: I'd like to thank the EBDEP
6 parents and families for participating in this study and
7 our collaborators at the West Oakland Environmental
8 Indicators Project, at the University of Washington,
9 Lawrence-Berkeley Lab, as well as the CDC and all the
10 Biomonitoring California staff.

11 Thank you.

12 ACTING CHAIR LUDERER: Thank you very much for
13 that really great overview and interesting presentation.
14 We have time now to start with for clarifying questions.
15 Any from Panel members to start with?

16 Oliver.

17 PANEL MEMBER FIEHN: Yeah. Thank you. This is a
18 truly interesting study, but maybe underpowered. So, you
19 know, I mean, I'm not a statistical expert, but I use
20 statistics all the time, including all the models that
21 you've talked about. And, you know, I'm a little
22 concerned about the numbers here. You also sound like,
23 you know, numbers are a little different when you remove
24 an outlier. Well, that's the point, we don't want to
25 remove outliers, because we want to know really the

1 distribution across a population. And if you then do
2 multiple adjustments, you know, things get weaker and
3 weaker. So in principle, there's two things, one is
4 significance and the other one is effect size. What can
5 you tell us about effect sizes?

6 DR. AALEKHYA REDDAM: Yeah. And I think
7 something to point out also is even though our sample size
8 were 40 people, we did have multiple measures, so I think
9 altogether we had around 300 samples to work with. So I
10 think we did have a relatively higher sample size. And
11 sorry, could you repeat your question for the effect size,
12 please?

13 PANEL MEMBER FIEHN: Yeah. So that, you know,
14 it's not just the ability to be -- to say something is
15 significant, but also in terms of meaningful -- you know,
16 instead of meaningful statistics, people say effect size.
17 You know, so is it -- is anything doubled? Is anything --
18 you know, I mean what is -- what are we talking about
19 here?

20 DR. AALEKHYA REDDAM: Yeah. Yeah. Of course.
21 So I think for the models where we use the mixed effect
22 models, we did see maybe a 10 to 20 percent, and I'm
23 generalizing here, increased effect size, if that be --
24 the beta estimate is what we saw.

25 ACTING CHAIR LUDERER: Tom.

1 PANEL MEMBER MCKONE: Yeah. If you could go back
2 to this slide on predictors of VOCs. I was curious, it
3 says gas stove, but did you consider gas oven use?

4 DR. AALEKHYA REDDAM: Yeah.

5 PANEL MEMBER MCKONE: I mean, when you say gas
6 stove and oven?

7 DR. AALEKHYA REDDAM: This was just based on the
8 questionnaires. And as I mentioned before, it was very
9 much tagged onto the end of the study, so I think we
10 didn't go as specific as we would have liked for the VOC
11 metabolites. I think there wasn't a specific question
12 about gas oven that I know of, but if anyone else knows,
13 otherwise, please let me know.

14 PANEL MEMBER MCKONE: Actually, I'm just --
15 what's a gas washer?

16 DR. AALEKHYA REDDAM: I think it's probably a
17 washer that uses gas versus electric -- electricity.

18 PANEL MEMBER MCKONE: I've never -- oh, I've
19 never seen a gas washer, but -- I mean, well, the -- and
20 this is a question of water heating would be a key issue,
21 especially if they have -- the water heater is indoors.

22 DR. AALEKHYA REDDAM: Yes.

23 PANEL MEMBER MCKONE: And a lot of them,
24 especially in smaller residences in communities that
25 aren't as wealthy, the water heater might actually be just

1 right in the middle of the house somewhere.

2 DR. AALEKHYA REDDAM: Yeah, absolutely.

3 PANEL MEMBER MCKONE: Okay.

4 DR. AALEKHYA REDDAM: Thank you.

5 ACTING CHAIR LUDERER: Carl.

6 PANEL MEMBER CRANOR: This is a quick question,
7 because I'm puzzled. Do lots of people use candles
8 anymore?

9 (Laughter).

10 PANEL MEMBER CRANOR: You're testing for candle
11 exhaust.

12 DR. AALEKHYA REDDAM: I actually was using a
13 candle when I ran this analysis. So, I don't know. I
14 guess -- I mean, the distribution -- there were a good
15 amount of people that used candles. And also our question
16 was candle and incense use. So I'm wondering if more
17 people use incense versus candles. But there was -- there
18 were a good number of people that used candles -- or
19 answered yes to this question.

20 PANEL MEMBER CRANOR: Thank you.

21 ACTING CHAIR LUDERER: I have a clarifying
22 question too, and that is I think the -- you know, the
23 cooking -- the gas cooking was -- is very interesting and
24 obviously an important exposure source inside. Did you
25 ask any questions about sort of mitigation measures, like

1 whether they had a hood -- a vent hood and whether it
2 vented to the outside and did that make a difference?

3 DR. AALEKHYA REDDAM: Yeah. No, we did have
4 those questions. We had questions about -- and also how
5 often the vent was cleaned and if it was cleaned based on
6 a question -- follow-up questionnaire. And they didn't
7 make any difference, yeah. And also, I don't think there
8 was a great distribution of variables. I think that could
9 have also played a role in it. And maybe if you had a
10 larger sample size with more people that were in each of
11 those categories, we would have seen more of an effect.

12 Thank you.

13 STEPHANIE JARMUL: I do -- this is Stephanie. I
14 do want to maybe let Duyen also who was heavily involved
15 in this. I don't know if you wanted to add to that,
16 Duyen.

17 DUYEN KAUFFMAN: Yes. Thank you, Stephanie.
18 Duyen Kauffman from Biomonitoring California and I just
19 wanted to clarify some of these questions that we asked.
20 Some of these were the questionnaire and some were based
21 on a home walk-through that we did, but yes, we did ask
22 about candle use and had -- the question was candle,
23 votive, incense, and sage burning all in one question. So
24 we did have people respond during -- affirmatively to
25 that.

1 And then for gas stove, the question was
2 specifically about stove. We didn't say oven. I think it
3 was implied, but yes, the wording was specifically whether
4 or not you had a gas stove. And we did ask about
5 mitigation, like, you know, a hood range whether or not
6 vented to the outside and how often that was used when
7 they cooked.

8 And then for the gas washer and dry -- we did ask
9 about a dryer. I don't -- I'm just flipping through the
10 questionnaire and I don't -- we didn't -- we asked
11 specifically for dryer and not a washer for that one. And
12 then also about the presence of the gas water heater,
13 whether or not it was -- it was located inside the house.

14 DR. AALEKHYA REDDAM: Thank you, Duyen.

15 ACTING CHAIR LUDERER: Thank you. I see Jenny,
16 you have a question

17 PANEL MEMBER QUINTANA: Hi. Thank you for the
18 study. Very important. I just had a quick question. I
19 looked briefly at the article. I think you had a question
20 about how many people smoked inside the home and maybe one
21 person did.

22 DR. AALEKHYA REDDAM: Um-hmm.

23 PANEL MEMBER QUINTANA: And -- but I didn't see
24 questions about exposure outside the home. And I'm just
25 wondering not so much for 1-nitropyrene, but -- for some

1 of the other things like acrolein and tobacco smoke. And
2 I'm just wondering if you measured cotinine in the urine.

3 DR. AALEKHYA REDDAM: I don't think we measured
4 cotinine in the urine. Yeah, we did not. But I think
5 moving forward, that would be a very important thing to
6 measure. Thank you.

7 ACTING CHAIR LUDERER: Okay. I'd like to --

8 STEPHANIE JARMUL: Sorry, this is Stephanie.

9 ACTING CHAIR LUDERER: I was going to ask if
10 there were any questions from the public?

11 STEPHANIE JARMUL: Not yet, but I did want to
12 mention that all of our current studies SAPEP, BiomSPHERE,
13 FRESSCA we did measure cotinine in the urine. And so we
14 have incorporated it into our current studies.

15 PANEL MEMBER QUINTANA: Thank you.

16 ACTING CHAIR LUDERER: Okay. Great. Thank you.
17 We have time now for general discussion about this
18 presentation and related topics. Would anyone on the
19 Panel like to start?

20 Oliver.

21 PANEL MEMBER FIEHN: Yes. So going back to this
22 question on statistical power, I was a bit concerned that
23 there were only five percent of the participants were
24 male. And I think this sexual disparity is something that
25 is concerning, because people might have different habits,

1 but possibly -- so you obviously can't go back in time,
2 but maybe for the future, we have to really make sure that
3 the genders are equally distributed.

4 DR. AALEKHYA REDDAM: Thank you.

5 ACTING CHAIR LUDERER: Further comments from
6 Panel members.

7 Tom.

8 PANEL MEMBER MCKONE: Yeah. I'm looking for the
9 slide where it mentioned the first study was consistent
10 with CalEnviroScreen. I was just curious about that.
11 That's actually a very interesting -- well, it was just
12 one little line there.

13 DR. AALEKHYA REDDAM: Um-hmm.

14 PANEL MEMBER MCKONE: Oh, there it is. Hair and
15 dust were higher in homes with high CalEnviro -- so that
16 means CalEnviroScreen is useful as a starting point to
17 find out where you're looking. And I guess the bigger
18 question, you know, for other things we're looking at is
19 have we missed an opportunity to use CalEnviroScreen as
20 sort of what it's intended for, a screen to tell us where
21 we should be looking and to sort out, so that we just
22 aren't randomly sampling, but we have some targeted
23 sampling, if that's a good tool.

24 DR. AALEKHYA REDDAM: Yeah, I think we actually
25 did use CalEnviroScreen to target these populations. And

1 I think we targeted them based on their score and tried to
2 get a distribution where they had high CalEnviroScreen and
3 lower ones. I also want to clarify that the results --
4 the interpretation of this last bullet point is that
5 participants with 90 percentile CalEnviroScreen had --
6 they were in the 90th percentile category of the
7 CalEnviroScreen data had higher concentrations of air and
8 dust. I think the range was relatively higher compared to
9 the other participants.

10 STEPHANIE JARMUL: This is Stephanie. I can jump
11 in. I'm pretty sure that with AB 617 communities, they
12 are using the CalEnviroScreen data to help identify those
13 AB 617 communities, which we are trying to focus on
14 working with.

15 ACTING CHAIR LUDERER: I actually have a question
16 about the fall and winter months and the 1-NP metabolites
17 being higher. It's somewhat surprising to me if it's
18 traffic related and you'd think people would be in their
19 houses more in the fall and winter. Do you have any
20 thoughts about that?

21 DR. AALEKHYA REDDAM: I wonder if it's related to
22 the inversion -- the atmospheric inversion and, you know,
23 the higher concentration of these pollutants and they just
24 probably stayed there lower, if that's -- yeah.

25 ACTING CHAIR LUDERER: Any other comments,

1 discussion questions?

2 It looks we have one in -- or several I think in
3 the chat I noticed.

4 STEPHANIE JARMUL: I guess I can paraphrase,
5 unless Asa or someone wanted to get online. But so the
6 design of EBDEP was to focus on parent-child pairs and it
7 sounds like with -- they had a choice and it was usually
8 the mom participated. Although, they did encourage the
9 dads to participate, if possible, but this was the end
10 result of the recruitment. And then the kids, of course,
11 were evenly balanced by gender.

12 ACTING CHAIR LUDERER: Were there some other
13 comments or questions in the chat? I thought I saw
14 several. No?

15 STEPHANIE JARMUL: We have Ken now. I will -- an
16 attendee. I'll allow you to talk. Please unmute
17 yourself.

18 KEN SZUTU: Thank you very much. One thing which
19 we notice in Vallejo, the difference between winter months
20 is because the wind direction change. Normally, we have
21 south -- wind coming from southwest. And during the
22 winter, we have the wind direction change to from east to
23 west and that is because we are in a refinery community
24 and it depends on which direction the wind blow and also
25 the location of the refinery. So that's one thing we

1 notice the difference.

2 Thank you.

3 DR. AALEKHYA REDDAM: Thank you, Ken.

4 ACTING CHAIR LUDERER: Okay. Were there any
5 other comments online or from -- questions from the
6 public? I don't see it right now, but.

7 No.

8 PANEL MEMBER FIEHN: Maybe one follow-up.

9 ACTING CHAIR LUDERER: Okay. Oliver.

10 PANEL MEMBER FIEHN: Yeah. Thank you for the
11 responses to my question on sex and -- or gender
12 inequalities. I do not find the responses acceptable.
13 And I -- you know, there was a comment online here by a
14 chat saying, well, that is usually the case in family
15 studies. Well, families, you know, may consist also of
16 male participants. And if I was to send a grant
17 application to federal agencies, and I would say, well,
18 I'll only take certain sexes into consideration, it would
19 not be fundable.

20 So I'm just saying that if that is the case, that
21 family, you know, studies are often imbalanced, I want to
22 say per -- as a statistician or as a genomics expert, that
23 is not acceptable and then it has to change. Just to stay
24 to encourage is not an acceptable answer over -- for the
25 future. And we did talk about what to do in the future.

1 You know, when we think about we want to look at all
2 Californians, that does include men too.

3 ACTING CHAIR LUDERER: Thank you. We still have
4 time for open discussion. Any -- whether any of the Panel
5 members have additional discussion about this
6 presentation.

7 Jenny.

8 PANEL MEMBER QUINTANA: I just wanted to comment
9 to Oliver, I think it's a function of the study design of
10 having a parent-child pair. And I've done various studies
11 in low-income populations and it's very common to have a
12 family headed by a woman and a child, and that's who
13 participates often. I don't know the case in this
14 particular thing. So I think it's more -- I think your
15 comment should go to how do we design studies that will
16 capture both genders in the future. If you're doing a
17 parent-child pair in a low-income population and you ask
18 people to come forward, you will probably have a biased
19 population, unless you have made a decision ahead of time
20 to exclude a bunch of people that want to participate and
21 trying to oversample for other genders. But I think it's
22 more a situation for future study designs.

23 ACTING CHAIR LUDERER: Thank you.
24 Nerissa.

25 DR. NERISSA WU: I just wanted to make a comment

1 that -- I mean, this was -- this was obviously not the
2 design of the study to exclude men or if you are studying
3 one particular sex, like we know we are doing in some
4 studies, it just -- it just determines how you can
5 generalize that data. And we are very aware of there are
6 sex disparities in how people metabolize or are exposed to
7 things. And so, we take that into account in our
8 analyses. But, you know, it's never the intent going into
9 our studies to overly generalize out of a disparity -- out
10 of a disparate population. It is in some way the
11 realities of doing community work. And, you know, like we
12 talked about with surveillance, you just have to be really
13 careful with your protocols to make them accessible to
14 people who are going to be able to get to your study site
15 to participate in this. They need child care. They need
16 transportation. So it is one of the challenges of all
17 biomonitoring studies.

18 ACTING CHAIR LUDERER: Thank you. Actually,
19 related to that, did you see any indication of sex
20 differences in the children?

21 DR. AALEKHYA REDDAM: No, we didn't -- we didn't
22 look at it.

23 ACTING CHAIR LUDERER: Thank you.

24 All right. I'm looking to see if there's any
25 additional comments or questions remotely or on the Panel

1 members.

2 I'm not seeing any. We -- let's see we have a
3 little bit -- I do see something in the chat.

4 And it just disappeared.

5 STEPHANIE JARMUL: Did you want to unmute?

6 DUYEN KAUFFMAN: Yes. This is Duyen Kauffman
7 from Biomonitoring California. And about the question of
8 how much time was spent and possible differences in the
9 seasons of time indoors versus the outdoors, we do have
10 hourly time activity diaries that people kept for
11 themselves and the kids separately over the four day
12 period of their participation each season -- or each, you
13 know, time -- but for both sampling periods. So we could
14 look at how much time -- you know, the difference in time
15 spent indoors and outdoors during the different seasons.

16 ACTING CHAIR LUDERER: Great. Thank you. Yeah,
17 I think that would be interesting to look at.

18 Other comments, questions?

19 All right. Thank you very much for the great
20 presentation. And I guess we can move on to our next
21 presentation.

22 All right. So our next speaker is Paramjit
23 Behniwal. And she is a Research Scientist in the
24 Environmental Health Laboratory and she will give us an
25 update today on the Program's development of the

1 laboratory methods for the analysis of VOC metabolites in
2 urine.

3 (Thereupon a slide presentation).

4 ACTING CHAIR LUDERER: Paramjit

5 DR. PARAMJIT BEHNIWAL: Good morning. I'm -- my
6 name is Paramjit Behniwal and I work with the
7 Biomonitoring Program. So we developed the method for the
8 VOC Metabolites in urine using the LC-MS/MS. And Jonathan
9 Gallardo was our fellow so he worked mostly on it. He
10 just finished his fellowship with us and joined the PhD
11 program in UC Berkeley.

12 [SLIDE CHANGE]

13 DR. PARAMJIT BEHNIWAL: So what are the VOCs?

14 They are the compounds which can vaporize at the
15 room temperature. And they are mostly present inside and
16 outside air and they are very common pollutants. And they
17 are naturally found in the environment. They can also be
18 released by the man-made sources like paints, cleaners,
19 cigarette smoke, wood burning, et cetera, and also from
20 the industrial processes. And they affect our health in
21 different ways -- in many ways, like breathing VOCs can
22 irritate the eyes, nose, throat, and can cause difficulty
23 in breathing, and can also damage our nervous system and
24 other organs. And some of the VOCs if they -- we are
25 exposed to them for a long time, they can even turn into

1 cancer.

2 [SLIDE CHANGE]

3 DR. PARAMJIT BEHNIWAL: So what happens once --
4 when we breathe VOCs or they get into our system? So once
5 they get into our system they get -- they also do the
6 action they -- damaging action, but also they get
7 metabolized and get removed from the body through the
8 urine, blood, and also breast milk and our blood. And
9 mostly the metabolites are used as a biomarker for the VOC
10 exposure, because they are more stable and they reflect
11 the recent exposure to the VOCs. And mostly they are
12 excreted as mercapturic acid in the urine. And they have
13 longer half-life than the VOC biomarkers in the blood.
14 And Biomonitoring California, they do the biomonitoring --
15 assess exposure to VOC to check the disproportionality
16 affected to communities.

17 And there are some studies that have been done
18 already and it's like East Bay Diesel Exposure Project,
19 Stockton Air Pollution Exposure Project, FRESSCA,
20 BiomSPHERE. And there's an Intraprogram Pilot Project,
21 IPP7, and the CFF, California Fire Fighters Study.

22 [SLIDE CHANGE]

23 DR. PARAMJIT BEHNIWAL: So here I'm just going to
24 talk about a little bit to the mechanism in the body, what
25 happens once we absorb it. So it can be -- there could be

1 two things that go on at the same time. It can get
2 metabolized to be more active compound, more toxic
3 compound, and it can be directly metabolized to be
4 excreted. So in the first one like Metabolism I, the
5 cytochrome 450 chromosomes -- enzymes, they can oxygenate
6 these -- especially I'm showing the example for the
7 acrylamide. So it can do that oxidation of the acrylamide
8 and make into glycidamide, which is more toxic to the body
9 than the acrylamide itself.

10 So once it gets more active, it can react with
11 the DNA molecules and make DNA adducts. And those DNA
12 adducts then can damage our nerve endings and the nerves,
13 so that's how they act as neurotoxins. And they can also
14 make adducts with the hemoglobins and other -- and also
15 through this process, they can also get detoxified with
16 the glutathione conjugation and get removed as mercapturic
17 acid.

18 In the second, Metabolism II, instead of getting
19 activated to the glycidamide, it can also get just -- make
20 conjunction with the glutathione and can get removed from
21 the body into a different product. Like here it's AAMA.

22 [SLIDE CHANGE]

23 DR. PARAMJIT BEHNIWAL: So this is a little more
24 chemistry of -- about chemistry in the body. So what
25 happens, R-X is like a VOC compound. It gets attached to

1 the cysteine of the glutathione. Glutathione has three
2 amino acids: glutamic acid, cysteine, and glycine. So
3 cysteine has sulfur group where it -- VOCs get attached
4 and then it makes a conjugation. And then that second
5 step with the hydroxylation, glutamic acid gets removed
6 with the help of the glutathione transferase enzymes. And
7 then the -- in the second step within that, glycine gets
8 removed. So what is left is just the cysteine attached to
9 the VOC compound. And then it can get acetylated to make
10 the mercapturic acid.

11 [SLIDE CHANGE]

12 DR. PARAMJIT BEHNIWAL: Oh. Well -- can you fix
13 it? Okay. Maybe I can go back. Okay. Thank you.

14 So here, I am showing just -- all the parents
15 compounds that we are monitoring and all their metabolites
16 with their full names and their short names, so...

17 [SLIDE CHANGE]

18 DR. PARAMJIT BEHNIWAL: So how did we develop the
19 method in the lab? So first we got the standards,
20 each and every standard. And we made our solutions and
21 then we optimized our mass spec. So for the mass spec, we
22 get all the molecular ions and optimized all the
23 (inaudible) that -- and choose the daughter ions.

24 And then once we have the mass spec method, then
25 we make standard -- combined standard and then we

1 optimized our LC conditions. So we throw -- and then --
2 so that we get a good separation, the best possible
3 separation that we can get, so we optimized all the
4 solvents system and develop a gradient. So once we have
5 that LC method optimized and the mass spec method
6 optimized, then we go ahead and make our quality
7 assurance/quality control samples that we do by getting --
8 in this case, we did synthetic urine.

9 So we combined -- made two pools of VOCs, one
10 with a low level and one with a high level. And then we
11 analyzed those QC samples over a period of some time. So
12 we get total 20 runs. So once we get that 20 runs, then
13 we do the statistical evaluation, we get the coefficient
14 of variation and then we get the precision and accuracy.

15 And after -- also, we did -- we did the
16 validation by getting some samples from the CDC. We get
17 their PT samples. And we got four samples from them and
18 we analyzed -- those four samples are were -- are for
19 different concentrations, so we analyzed them and compared
20 that as also -- how many we passed and what we didn't
21 pass.

22 [SLIDE CHANGE]

23 DR. PARAMJIT BEHNIWAL: So here is our
24 workflow -- simple workflow. In the step one, we just
25 dilute the sample. It's a dilute and shoots method. So

1 we did dilute our samples and standards to 1 to 10 in our
2 mobile phase. And then we just -- the second picture just
3 shows how we arrange them in the tray and then put it into
4 our instrument. And the third step is that -- shows our
5 LC system. And the other one is the mass spec.

6 So what's -- we have like SCIEX mass spec. It's
7 a triple quad and we are using an ESI as an ionization for
8 this one in the negative mode.

9 [SLIDE CHANGE]

10 DR. PARAMJIT BEHNIWAL: Keep pushing -- sorry. I
11 keep pushing the wrong button.

12 Okay. Thank you.

13 Okay. So here are the -- our conditions for the
14 LC. So we have a Shimadzu Nexera LC and using the Acquity
15 UPLC HSS T3 column, which is about 150 millimeter. And
16 it's a 2.1 millimeter diameter. And the other mobile
17 phase is 15 millimolar ammonium acetate as Solvent A and
18 acetonitrile is our Solvent B. And then we have washes --
19 strong wash and weaker wash to wash our needle in between
20 the injections. And then we have the gradient for our
21 method. We start gradient from just three percent of the
22 Solvent B. Like, it start with very aqueous conditions
23 and then we go over the -- organic solvent goes only up to
24 40 percent and then it comes down. So once it gets to 40
25 percent, we get almost all the compounds out.

1 [SLIDE CHANGE]

2 DR. PARAMJIT BEHNIWAL: So here, I'm listing over
3 MRM transitions for all the compounds. And there's a --
4 for most of the compounds, we have the different molecular
5 ion and their daughter ions. But there are some compounds
6 that we have -- that share the same molecular ion and/or
7 daughter ions. So that I have highlighted here like with
8 2MHA and the metabolites of xylene. All three metabolites
9 did share the same parent compounds and the daughter ion.
10 But we are able to separate them by chromatography. So
11 it's easy to quantitate them, even though they share the
12 same compound.

13 So another example is HPM2 and CYMA. So they
14 also share the molecular ion. So chromatography, if we
15 can separate -- but if they're eluting very close to each
16 other, then we can -- then they have different molecular
17 ions. So we have like two, three different parameters to
18 consider to separate and quantitate these ions, one is a
19 retention time and the molecular ion of the compound and
20 those are the two very important ones.

21 [SLIDE CHANGE]

22 DR. PARAMJIT BEHNIWAL: So here I'm showing the
23 chromatogram for all those compounds. So some of you see
24 them, they are very close to each other. But since we
25 different molecular ions and daughter ions, so we can

1 still get a good quantitation.

2 [SLIDE CHANGE]

3 DR. PARAMJIT BEHNIWAL: So here is our quality
4 control from our low QC and high QC. It is data from the
5 20 runs. Most of the compounds -- all of the compounds we
6 get like coefficient of variation is below 20 percent.
7 That's what we are saying. But majority of them are like
8 below 15 percent, only few are like about 17 percent,
9 which is on the high end. We are still trying to work out
10 to bring it down. So see, we're -- how we can improve the
11 method.

12 [SLIDE CHANGE]

13 DR. PARAMJIT BEHNIWAL: So like I already said
14 that we got some reference samples from the CDC to
15 validate our method. So there was four QC/QA samples.
16 And 22 analytes out of the 24, they met acceptance
17 criteria. So there was AMCA and DHBM, which didn't meet
18 the acceptance criteria. So AMCA is a metabolite of
19 n,n-dimethylformamide. And this didn't meet the
20 acceptance gradient also. So this one we failed. And
21 it's usually on the higher side for all of four samples.
22 The results is on the higher side, so we noted something
23 is not right with our standard. So we are trying to work
24 out that. And DHBM failed in three samples. So we will
25 look at -- into that also. But there are some compounds

1 that failed in only one sample, so that's like just a
2 random error. So in conclusion, we kind of passed our
3 validation from -- with the CDC sample.

4 [SLIDE CHANGE]

5 DR. PARAMJIT BEHNIWAL: So in conclusion, so we
6 have a method for the measurement of VOC metabolites in
7 urine. We can measure 25 samples -- compounds together,
8 but 3MHA and 4MHA they come together. So we can say we
9 have a method for 24 analytes. And we get good accuracy
10 and precision, which we demonstrated through the QC pools
11 and the CDC quality assessment samples. And we have
12 analyzed the Intraprogram Pilot project samples, which are
13 39 in number. And Camp Fire Firefighter study samples,
14 which is 66 in number. And we are reviewing the results.
15 IPP study samples are with the QA at this time and CFF
16 study samples are -- I'm still reviewing them.

17 [SLIDE CHANGE]

18 DR. PARAMJIT BEHNIWAL: So thank you.

19 ACTING CHAIR LUDERER: Thank you very much for
20 the presentation. We have time to start with clarifying
21 questions from the Panel members to begin with.

22 Carl.

23 PANEL MEMBER CRANOR: You -- at the beginning -
24 it was in your second slide - indicate that there are lots
25 of sources of VOCs. They're everywhere.

1 DR. PARAMJIT BEHNIWAL: Yeah, they are
2 everywhere.

3 PANEL MEMBER CRANOR: I'm wondering does your
4 data give you any indication about what major sources we
5 ought to be paying attention to reduce them. Does that --
6 does this help at all in terms of the bigger public health
7 issue?

8 DR. PARAMJIT BEHNIWAL: I think it should, but
9 that's not my decision to make. I -- we just give the
10 results to our customers.

11 PANEL MEMBER CRANOR: I guess I was also thinking
12 about the slide on the parent compounds. Are there -- you
13 know, what are the sources and which are the parent
14 compounds that contribute to them?

15 DR. PARAMJIT BEHNIWAL: From the preliminary
16 results from the IPP, I -- we found that there's like --
17 we are seeing the HPMA and CEMA very high. So that is the
18 products of from the acrolein. So then we also have some
19 high levels for the xylene. So there are some compounds
20 which are a little -- we see in almost all the samples.
21 And some are very low, which is like -- like only like few
22 ppb, 3 ppb, 4 ppb. And also -- so I don't know, because
23 I'm not in part of the planning the studies, so maybe --

24 DR. NERISSA WU: Yeah, I can answer that.

25 So it's a good question. You know, why -- you

1 know, what do we do with all these lab results? And I
2 think as a Aalekhya has presented, there's a lot of
3 profile analysis we can do to look at what the source
4 might be, but also in conjunction with the questionnaires
5 and the geographic analyses to try to pinpoint what are
6 the really important sources that we can then target for
7 reduction. But we can't do that work unless we have an
8 available lab method. So we're really looking forward to
9 using this analyses further.

10 PANEL MEMBER CRANOR: All right. That seemed to
11 be a good deal of pride in the procedures that have been
12 developed for analyzing them. And I was trying to take it
13 a step further and what will this tell you about the
14 bigger questions too that we have to worry about?

15 DR. NERISSA WU: Well, I think we look forward to
16 BiomSPHERE and FRESSCA and some of these other studies
17 where we do have questions that are really specifically
18 looking at filtration of air, for example, and being able
19 to come up with recommendations for what that means in
20 terms of reducing exposures, again both on an individual
21 level, what can you do in your own home as well as on a
22 policy basis.

23 PANEL MEMBER CRANOR: Thank you.

24 STEPHANIE JARMUL: And I don't have my hand up,
25 but I'll call on myself. This is Stephanie. I just

1 wanted to add that as Nerissa mentioned, yeah, we are
2 excited to use these in our future studies, especially
3 because actually EHL's panel is larger than the panel that
4 we've had for at least SAPEP, BiomSPHERE, and FRESSCA. I
5 think it more closely matches CDC's panel. And so we will
6 have a few more chemicals included in our study, which
7 will hopefully shed a bit more light on potential, you
8 know, different exposure sources. And again to add on to
9 what Nerissa is saying, we are trying to collect more
10 environmental data to complement our biomonitoring data,
11 which also might help elucidate some of those sources.

12 ACTING CHAIR LUDERER: Thank you.

13 Oliver, you had a question or comment.

14 PANEL MEMBER FIEHN: Yeah. Thank you. I am
15 delighted to see analytical methods details. For those
16 details, I saw that you dilute and shoot 10-fold dilution.
17 But usually when people look at urine, they do some
18 normalization on the volume either by it's based on
19 specific gravity or creatinine. Why don't you do that?

20 DR. PARAMJIT BEHNIWAL: I think we will do the
21 creatinine normalization, so --

22 PANEL MEMBER FIEHN: But later, like afterwards,
23 not before.

24 DR. PARAMJIT BEHNIWAL: Afterwards.

25 PANEL MEMBER FIEHN: So often people do it before

1 hand to be sure that you're in the dynamic range. And I
2 didn't see dynamic ranges here. I didn't see neat
3 concentrations, so like without spiking. And I didn't
4 see, you know, some other measure of two positives in a
5 way. And that comes to my second question. So these, you
6 know, metabolites of the volatile organic carbons of
7 course undergo multiple steps of enzyme control. And
8 these multiple steps of enzyme controls can be different
9 in different people. So, you know, in one person with
10 that exposure, you know, might go towards that route. And
11 another person with the same exposure might go more to the
12 other route.

13 So that goes to the -- you know, is it -- are
14 those really the right compounds or, you know, you show
15 different pathways that can be used? And so if we just
16 look at one specific pathway, you know, then we might miss
17 the, you know, differences. And the value we measure
18 might not be a direct measure or, in this case, indirect
19 measure of the true exposure. So have you thought about
20 that?

21 DR. PARAMJIT BEHNIWAL: That's true, but we
22 usually mostly follow the CDC method. And they have done
23 a very thorough thought on it that picked out the most
24 common -- or the most unique metabolites for that
25 analyte -- for that VOC parent. So like benzene has

1 multiple metabolites. But this one, the one we are doing,
2 is like very specific. It doesn't come from other
3 sources. But like other metabolites they are metabolites
4 that share many more parents. So it could -- then you
5 cannot say that it's specific to the benzene. So these
6 are very specific to these parents' compounds. So if you
7 measure that, then you can -- with some certainty, you can
8 say that, okay, this person is exposed to this particular
9 compound.

10 DR. SHE: Thank you. Jianwen She. I work with
11 Dr. Paramjit Behniwal. So I like your first question
12 regarding to use some creatinine specificity measurement
13 to guide in the next step to decide how much dilution we
14 need to the protein precipitation. That's great idea. We
15 didn't look at that, but we should look. And then also my
16 comment on Carl's questions about the -- so how we can use
17 this data to find out where the source come from.
18 Basically, for example, we also -- we did some study
19 before. Before this method, we look at BTEX exposure. I
20 use the BTEX exposure as examples, so we can link our
21 levels with specific process. From that process, we
22 measure like let's say BTEX is high. We know that most of
23 the chemical come from BTEX or the acrolein that was
24 higher, so we can try to attribute the source and the --
25 where the VOC come from, we can develop an intervention or

1 the prevention procedures. And that's done and for what
2 Pami said.

3 DR. PARAMJIT BEHNIWAL: And I also want to add
4 that like you said about the dilution factor. It's -- if
5 we -- our calibration range is very high for most of the
6 compounds, the one that is more commonly found in our --
7 in the urine. But if it comes -- it gets out of our
8 calibration, we are going to dilute the sample again and
9 run it again.

10 ACTING CHAIR LUDERER: Question or comment.
11 Martha.

12 DR. MARTHA SANDY: Thank you. Martha Sandy with
13 OEHHA. To speak to Oliver's point that perhaps we have to
14 look at the metabolites that are measured of a certain VOC
15 and see if they're truly indicative of exposure to the
16 parent compound. That is certainly a valid concern that
17 we would look at that more closely because of genetic
18 polymorphisms and other exposures that people may have
19 that may alter their metabolic pathways for a certain
20 parent compound. So that is something we are looking at.

21 I believe the methods that are -- were developed
22 here are based on the mercapturic acid metabolites.

23 ACTING CHAIR LUDERER: Do we have any other
24 questions from Panel members or comments?

25 Oliver.

1 PANEL MEMBER FIEHN: So thank you again. So when
2 you looked at the spiked examples, you used, I think, 80
3 ppb, if I remember correctly. You know, was this value
4 based on literature values, like did you expect this
5 amount as a lower measure of quantification for typical
6 urines or where does it come from the lowest amount of
7 spiked values?

8 DR. PARAMJIT BEHNIWAL: That's depends on our
9 instrument's capability, how low it can go.

10 PANEL MEMBER FIEHN: So is it like --

11 DR. PARAMJIT BEHNIWAL: Do you mean like --

12 PANEL MEMBER FIEHN: What do we expect? Is the
13 dynamic range covering what we usually expect in people?

14 DR. PARAMJIT BEHNIWAL: Okay. So the low QC
15 levels, yes. So we -- based on that initial
16 concentrations and also from the CDC, yes, from their
17 NHANES studies, and then their publications, and from
18 other literature. And we also usually try to keep low QC
19 levels to the lower end, so that we can catch the lower
20 levels and the high QC levels are closer to -- between the
21 middle and the high end of our calibration.

22 ACTING CHAIR LUDERER: I just have a quick
23 technical question. Is -- are there any specific concerns
24 for how the samples are stored for measuring these
25 metabolites or --

1 DR. PARAMJIT BEHNIWAL: Yes. They have to be
2 kept in the cooler. If you take -- at low levels -- we
3 store them at minus 80. So if you keep them in the
4 refrigerator for long, then we lose some of the compounds,
5 because they are very unstable compounds.

6 ACTING CHAIR LUDERER: That's a concern for
7 collection of the samples in the field too obviously, I
8 assume.

9 DR. SHE: A few years ago, we work with a
10 collaborator, visiting scholar, and then we did a
11 stability test. We did a long-term stability test,
12 short-term stability test, stability post-preparation
13 test, and also freeze and thaw sound test, but it's only
14 with the metabolite from the BTF metabolite, and -- which
15 is benzene, toluene, xylene and acid benzene. So we plan
16 to do more stability test. And through that test, we
17 identified the problems and -- when the samples store at
18 minus 80 and for long-term test. And we didn't find
19 freeze and thaw will affect the analytical result. That
20 seemed to be stable. But with 22 or 25 new analytes, we
21 plan to do more test, yeah.

22 DR. PARAMJIT BEHNIWAL: And to add on to that,
23 yes, I did run into problem in the beginning with my
24 standards, because we were keeping them in the like minus
25 20 and taking them out every day and put them back into

1 minus 20, take them -- so after 30 days, I start losing
2 the peaks. So standards did get affected with the
3 multiple time keeping -- taking them out and putting them
4 back.

5 ACTING CHAIR LUDERER: Thank you. That's very
6 important information.

7 Any other questions or comments from Panel
8 members or from anyone online? Stephanie or Rebecca

9 No.

10 STEPHANIE JARMUL: Nothing online.

11 ACTING CHAIR LUDERER: Okay. Great. Thank you
12 so much your presentation.

13 Let's see, I think we're running a little early.
14 If we have no additional discussion points now, do we want
15 to take the break now or move on to --

16 STEPHANIE JARMUL: Yeah, let's take the break
17 now.

18 ACTING CHAIR LUDERER: -- a later presentation?
19 Okay. And we'll keep it at one hour as planned?

20 STEPHANIE JARMUL: Let's just return at the
21 usual, so we can start back on time. So I think that's
22 1:15 we'll --

23 ACTING CHAIR LUDERER: Okay.

24 STEPHANIE JARMUL: -- ask everyone to return from
25 lunch.

1 ACTING CHAIR LUDERER: Okay. All right. Great.

2 So everyone has a little bit longer lunch than planned.

3 All right. Great. Thanks very much.

4 (Off record: 11:48 a.m.)

5 (Thereupon a lunch break was taken.)

6 (On record: 1:19 p.m.)

7 ACTING CHAIR LUDERER: All right. Welcome back
8 everyone. We're going to start now with our afternoon
9 session. So in the next agenda item, we're going to be
10 hearing from two speakers. The first presenter will be
11 Kelly Chen. She's a Research Scientist at CDPH. Today,
12 she will be presenting on associations between serum PFAS
13 concentrations and seafood consumption among Asian/Pacific
14 Islanders in the San Francisco Bay Area. And the title of
15 her talk is going to be, "Perfluoroalkyl and
16 Polyfluoroalkyl Substances (PFASs) and Seafood in
17 California: Monitoring of Human Populations and Fish
18 Species."

19 Kelly.

20 (Thereupon a slide presentation).

21 KELLY CHEN: Hello, everyone. Thanks so much for
22 having me. I am a Research Scientist at the Biomonitoring
23 California Program, and, as has been mentioned, I'll be
24 presenting on our study focusing on Asian/Pacific
25 Islanders in the San Francisco Bay Area and how we're

1 using the data to examine how fish and shell fish
2 consumption contributes to PFAS exposures and then Wes
3 Smith over at OEHHA will be following my presentation.

4 [SLIDE CHANGE]

5 KELLY CHEN: So first, I know this Panel knows a
6 lot of about PFASs, but I'll still give a quick overview
7 on PFASs or per and polyfluoroalkyl substances. These are
8 a class of chemicals widely used to make various products
9 resistant to oil, stains, grease, and water, and commonly
10 known as "forever chemicals", as they are very long
11 lasting. Fortunately, they have spread extensively
12 through the environment and have been linked to a variety
13 of adverse health effects.

14 [SLIDE CHANGE]

15 KELLY CHEN: At a previous SGP, my colleague Toki
16 Fillman focused on drinking water as an exposure pathway
17 to PFASs. Today, I'll focus on fish and shell fish as
18 other dietary sources of exposure.

19 [SLIDE CHANGE]

20 KELLY CHEN: For some context, there's been
21 growing literature around PFAS exposures from seafood.
22 And I'll highlight two relevant national studies. The
23 first FDA studies that have detected PFAS in store-bought
24 fish and shellfish, as well as a recent analysis of EPA
25 freshwater fish samples across the U.S., which found

1 extensive PFAS contamination, particularly of PFOS. Other
2 studies linking biomonitoring data in various regions of
3 the U.S. and other parts of the world have linked seafood
4 consumption, especially fish, as a major pathway of
5 exposure to PFASs. And this is reflected in current fish
6 consumption advisories and their modeling assumptions,
7 which have applied contributions ranging from 50 percent
8 from Washington State, 70 to 80 percent from Maine and New
9 Hampshire, and up to 86 percent from the European Food
10 Safety Authority.

11 [SLIDE CHANGE]

12 KELLY CHEN: And here is a closer look at the
13 PFAS profiles in freshwater fish samples from 2013 to 2015
14 EPA data using targeted analyses. In the yellow, PFOS
15 dominates as a contributor to total PFAS levels at nearly
16 75 percent. Several other PFASs make up the remaining
17 quarter, noticeably, longer chain carboxylic acid PFASs.
18 These are PFUnDA, PFDA, PFDoA, PFNA, and PFOSA. Notably,
19 PFOA and PFHxS made very small contributions in these
20 freshwater fish samples, less than one percent, though
21 they have still been detected in fish and shellfish in
22 some other studies. And I'll also note that compared to
23 the PFAS profiles shown here in U.S. freshwater fish,
24 those in marine fish samples have generally been lower.

25 [SLIDE CHANGE]

1 KELLY CHEN: In the U.S., we also see that there
2 is higher seafood consumption among Asians. According to
3 national data from 2013 to 2016, 20 percent of all adults
4 eat seafood at least two times per week, while nearly
5 double, or 41 percent, of Asian adults fall into this
6 category.

7 [SLIDE CHANGE]

8 KELLY CHEN: We're also seeing the API
9 populations have higher PFAS levels compared to other
10 ethnic racial groups. And in our California Regional
11 Exposure Study in the LA region, we see that PFOS was 68
12 percent higher among Asians, compared to the White
13 category.

14 [SLIDE CHANGE]

15 KELLY CHEN: And these findings were reflected in
16 the second region as well, CARE-2, where we saw that PFOS
17 was 147 percent higher among Asian compared to White.

18 [SLIDE CHANGE]

19 KELLY CHEN: So this context brings us to today's
20 analysis, which had several overarching objectives. The
21 first to characterize fish and shellfish consumption in a
22 highly exposed population, which only a few studies have
23 done so in the U.S. and even fewer examining the
24 consumption of various fish parts; second, to evaluate
25 associations between seafood consumption and serum PFAS

1 levels; and lastly, to share results with partners at the
2 local, state, and federal level to aid in efforts to
3 reduce exposures from seafood consumption.

4 [SLIDE CHANGE]

5 KELLY CHEN: So while many Panel members heard
6 about the ACE project, as it was presented on in previous
7 years, but I'll give some overview. This was the
8 Asian/Pacific Islander Community Exposures Project, or ACE
9 Project, which was a community-based study conducted in
10 2016 to 2017 to biomonitor Asian populations in the San
11 Francisco Bay Area, as previous studies had found higher
12 levels of metals and PFASs in Asian Americans. Our branch
13 has had a long history of working on safer fish
14 consumption messaging with local API advocacy groups. And
15 one group, APA Family Services, had expressed interest in
16 biomonitoring as a way demonstrate the potential impacts
17 of dietary choices on chemical exposures. And to a
18 specific question earlier from Jenny, we were also
19 interested in discerning differences in specific Asian
20 populations.

21 There were two phases. The first focused on
22 Chinese American participants in the San Francisco area.
23 And the second phase included Vietnamese Americans in the
24 San Jose area, which is about one hour south of San
25 Francisco.

1 [SLIDE CHANGE]

2 KELLY CHEN: In both phases of ACE, participants
3 were biomonitored for metals, which we presented on
4 previously and a panel of 32 PFASs. We also collected
5 information using an exposure questionnaire, which
6 included questions about demographics, occupation,
7 immigration history, personal care product use, and very
8 detailed questions about diet, particularly rice and
9 seafood. We did not, however, collect information on
10 drinking water, consumption or sources, parity, or breast
11 feeding history.

12 [SLIDE CHANGE]

13 KELLY CHEN: Analyses used log transformed serum
14 PFAS concentrations due to a skew observed in the PFAS
15 data and evaluated several measures of seafood consumption
16 that I will be showing in later slides. Each model was
17 adjusted for age, sex, education, income, birth country,
18 and portion of life in the U.S., and also adjusted for
19 household clusters. And analyses were run combining ACE
20 1, and ACE 2 data, given the small sample sizes, and then
21 if there were sufficient numbers for the exposures or
22 covariates for each ACE group individually. And for this
23 presentation, I'll talk through the results that were
24 significant at a P value of less than 0.05.

25 [SLIDE CHANGE]

1 KELLY CHEN: To give you a sense of our study
2 population, ACE 1 and ACE 2 both recruited a hundred
3 participants, but a few were unable to provide blood
4 samples, bringing the total for the analysis to 195. The
5 mean age of both groups were similarly in the mid-forties
6 and just under 50 percent male. Household income was
7 higher among our ACE 1 population, but the median still
8 fell well below the region's median income in both cases.
9 Most of our participants were born outside of the U.S. and
10 ACE 2 skewed more heavily towards recent immigrants and a
11 non-English speaking population.

12 [SLIDE CHANGE]

13 KELLY CHEN: Now moving on to the ACE PFAS
14 profile. Among the 32 PFASs measured in the study, we
15 focused on six PFASs for these analyses, which were those
16 with the highest detection frequencies and linked to
17 seafood consumption and other studies. Here, I'm sharing
18 geometric means broken out by each ACE group with ACE 1 in
19 the yellow and ACE 2 in the dashed yellow. For both
20 groups, the general trend was pretty similar, though PFHxS
21 and PFOA were slightly higher among the Vietnamese group,
22 or ACE 2.

23 I've also added in national data in blue to
24 compare to NHANES, all adults in NHANES Asian specific
25 PFAS data from comparable years. You can see that the

1 yellow bars from the ACEs tend to run a bit higher than
2 the blue bars, the national data. Specifically, four were
3 statistically higher in ACE than the national data marked
4 by red asterisks, PFOS, PFUnDA, PFNA, and PFDA.

5 [SLIDE CHANGE]

6 KELLY CHEN: Looking at the PFAS data another
7 way, you can compare the results from our ACE group to the
8 clinical guidance issued by the National Academies, you
9 can see how the different populations compare. As shown
10 in the lowest row, the ACE participants disproportionately
11 fall into the highest risk category, where the sum of
12 seven PFASs is greater than or equal to 20 micrograms per
13 liter, at 20 percent across both ACEs, more than double
14 the national level at nine percent.

15 This further underscores why it was a priority
16 for our program to identify exposure routes that may be
17 contributing to these high levels of PFASs.

18 [SLIDE CHANGE]

19 KELLY CHEN: And we also saw higher seafood
20 consumption in ACE. Adding to the graph I showed earlier
21 on national trends in seafood consumption, ACE
22 participants in yellow are more frequent consumers of
23 seafood compared to NHANES Asian adults at 59 percent
24 compared to 41 percent.

25 In ACE, we also asked about purchased versus

1 caught fish. Almost all of our participants reported
2 eating at least some fish from stores or markets. And
3 almost one-third reported eating fish caught by
4 themselves, friends, or family in the past year and quite
5 frequently with, almost a third of participants eating
6 caught fish at least one to three times per month or more.

7 In the questionnaires, participants also reported
8 a variety of speedy -- species consumed that we've shared
9 with State and local stakeholders, but I'm not showing
10 that on the screen just for the sake of time.

11 [SLIDE CHANGE]

12 KELLY CHEN: In ACE 2, we also introduced a
13 question about the consumption of fish parts. And as
14 shown, most participants reported eating at least some of
15 these non-filet fish parts, eyes, head, organs or skin at
16 least some of the time. This is of concern because fish
17 advisories are often based on levels of pollutants
18 measured in the filet and limits are often communicated in
19 terms of servings of filet. However a number of studies
20 have shown that there may be much higher levels of PFASs
21 as well as other contaminants on the range of 1.5 to 5
22 times higher in non-fileted fish parts compared with the
23 filet.

24 [SLIDE CHANGE]

25 KELLY CHEN: Moving on to the analyses. We next

1 looked at associations between serum PFAS levels and these
2 three measures of reported seafood consumption: bought
3 fish, caught fish, and bought shellfish. Unfortunately,
4 we didn't have large enough numbers in the caught
5 shellfish category to assess those associations.

6 [SLIDE CHANGE]

7 KELLY CHEN: In looking at the estimated serum
8 increase associated with the median number of bought fish
9 meals consumed in the past month, or five additional
10 bought fish meals, our model showed a nine percent
11 increase in serum PFOS levels and a 14 percent increase in
12 PFUnDA levels among all of the ACE participants. PFDA and
13 PFNA levels were associated with bought fish consumption
14 in ACE 2 only. And in those models, we saw increases of
15 17 and 20 percent compared to participants who did not
16 consume bought fish.

17 [SLIDE CHANGE]

18 KELLY CHEN: The increase was more pronounced for
19 caught fish with significantly increased levels of five
20 PFASs seen with the median consumption of caught fish.

21 [SLIDE CHANGE]

22 KELLY CHEN: The consumption of bought shellfish
23 was also associated with PFOS, PFUnDA, and PFDA serum
24 levels in the ACE 2 group, notably we saw an association
25 with PFOA that I also wanted to mention of five percent

1 that was just approaching significance. And PFOA has been
2 detected in clam samples and other shellfish.

3 [SLIDE CHANGE]

4 KELLY CHEN: In another analysis, we looked at
5 the same data, but combined bought and caught fish to
6 examine how serum PFAS levels differed by total monthly
7 fish consumption frequency in the past month. There were
8 four frequency levels: zero to three meals per month as
9 the lowest category used as a comparison against one to
10 two meals per week, two to three meals per week, which is
11 the recommended fish consumption guidance by the EPA and
12 FDA and adopted and put forth by the USDA dietary
13 guidelines, and then greater than three meals per week as
14 the highest frequency category. We examined associations
15 with each of the six PFASs in separate models.

16 [SLIDE CHANGE]

17 KELLY CHEN: Here, we observed higher PFOS and
18 PFUnDA levels associated with consumption above three
19 servings per week, which can be seen in the darkest bars.
20 Our model showed a 50 percent increase in PFOS and a 58
21 percent increase in PFUnDA among those who consumed
22 greater than three meals per week compared to those who
23 consumed only zero to three meals of fish per month.

24 [SLIDE CHANGE]

25 KELLY CHEN: We also noted several other PFASs

1 approaching statistical significance, PFNA, PFDA at
2 greater than three meals per week, and for PFUnDA in all
3 categories above zero to three meals per month.

4 [SLIDE CHANGE]

5 KELLY CHEN: We then looked at consumption of
6 caught fish only categorized by increasing frequency of
7 consumption within the past month.

8 [SLIDE CHANGE]

9 KELLY CHEN: And here, caught fish consumed
10 frequently at more than three meals per week was
11 associated with increased levels of all PFASs at even more
12 pronounced levels ranging from 33 to 148 percent increases
13 in serum PFAS levels.

14 [SLIDE CHANGE]

15 KELLY CHEN: Consumption of fish parts was
16 another important factor. We compared participants who
17 reported ever eating fish organs, heads, skin, or eyes
18 with participants who reported not eating any of these
19 fish parts. And we also created a variable which included
20 consumption of any of these fish parts in the second
21 column. Here, we found that substantially increased PFAS
22 levels were associated with consumption of individual fish
23 parts, fish organs, head, skin, and eyes. And increased
24 PFAS levels were also associated with the consumption of
25 any of these fish parts.

1 [SLIDE CHANGE]

2 KELLY CHEN: The increase was less noticeable for
3 fish paste, cakes, or balls and shrimp sauce, all of which
4 likely contain fish and shellfish parts, perhaps because
5 these product are used in small quantities, or because of
6 the types of seafood that are used for these products, or
7 because there are many other fillers in these products.

8 [SLIDE CHANGE]

9 KELLY CHEN: As a summary across these analyses,
10 we observed consistent associations with fish and
11 shellfish both purchased and caught fish, purchased
12 shellfish, and seafood products, particularly with caught
13 fish consumed at high frequencies and non-filet fish
14 parts. These fit -- these four PFASs in red were most
15 commonly associated ranging from C8 to C11, which
16 parallels other studies on PFASs associations with seafood
17 both from biomonitoring studies and from direct sampling
18 of seafood samples. PFOS and long chain carboxylic acids
19 tend to accumulate in fish, while shellfish seems to
20 exhibit slightly different patterns in the literature.

21 Again, we didn't have large enough numbers in the
22 caught shellfish category to draw conclusions, but in the
23 literature, other studies have reported shrimp, lobster,
24 and clams associated with higher PFOA, PFDoA, PFUnDA,
25 PFHxS levels.

1 [SLIDE CHANGE]

2 KELLY CHEN: We can see that overlap also as a
3 flashback to the PFAS profiles in U.S. freshwater fish
4 samples.

5 [SLIDE CHANGE]

6 KELLY CHEN: Notably, last week, the EPA released
7 an update to their list of contaminants to monitor for
8 fish and shellfish advisories, last updated in 2000. In
9 this updated list, five out of the six PFASs to monitor
10 for overlapped with PFASs associated with higher seafood
11 consumption in the ACE study. PFUnDA, however, is
12 included, but only as a contaminant to watch for, as
13 there's not yet a federal measure of oral toxicity for
14 PFUnDA. But I did want to note that we did see a strong
15 pattern with PFUnDA in these analyses.

16 [SLIDE CHANGE]

17 KELLY CHEN: The association between frequent
18 seafood consumption and PFAS levels and the concern that
19 eating different parts of fish may be resulting in
20 elevated PFAS levels remain an important topic not only
21 for California to address but also many other states
22 across the U.S. This was highlighted in an article by
23 Kaiser Health News that covered the ACE Project and other
24 State efforts around PFAS in seafood last December.

25 [SLIDE CHANGE]

1 KELLY CHEN: Over the course of working on ACE
2 and learning more about PFASs in seafood, our program has
3 had several helpful conversations with OEHHA's fish
4 advisory program centered around the ACE results and how
5 they may be helpful. And we wanted to acknowledge,
6 especially with Wes Smith in the room, that they are the
7 effort -- the experts in what is a complicated effort to
8 craft fish consumption advisories across the state. And
9 we are very glad to have Wes join today.

10 So I won't go too deep into this slide of where
11 we are in California, only to provide an overview that
12 California fish advisories are currently based on many
13 chemicals, including mercury, PCBs, selenium, and other
14 chemicals, but does not yet have a PFAS-based advisory.

15 There are, however, efforts monitoring PFASs in
16 fish that we have learned about. And data collected in
17 the San Francisco Bay Area does suggest that PFAS levels
18 in fish would trigger fish consumption advisories that
19 some other states have. The ACE data underscores the
20 importance of better understanding PFAS exposures in
21 seafood that Californians may eat. So we are very excited
22 to learn more about the work that is underway in
23 considering next steps for PFAS fish advisories. So more
24 to come with Wes's presentation.

25 [SLIDE CHANGE]

1 KELLY CHEN: Overall, there really is a need for
2 more PFAS data on fish, and especially shellfish. And
3 this has been underscored while working on the ACE
4 Project. We are learning that PFASs can vary by species,
5 by location, and over time. So time trends and
6 location-specific data are needed to inform site-specific
7 advisories. And more data on consumption rate, species,
8 and non-filet fish parts that consumers are catching
9 themselves and buying from stores would help inform
10 testing and advisories.

11 Similar to the biomonitoring world, expanding the
12 PFASs tested beyond legacy PFASs and targeted analyses
13 could also provide a more comprehensive understanding of
14 the exposures.

15 And lastly, this study was based on Chinese and
16 Vietnamese Americans in California, but more information
17 on other diverse communities are needed as many other
18 communities eat fish and shellfish in California.

19 [SLIDE CHANGE]

20 KELLY CHEN: I wanted to highlight some of the
21 ways in which the ACE Project has fed into ongoing efforts
22 around fish and shellfish. On the regional level in
23 California, we have shared our data with the San Francisco
24 Estuary Institute, as they are working on characterizing
25 fish consumption, especially in subsistence fishers, and

1 sampling fish in local waters. On the State level in
2 California, we have worked with the California Safe to Eat
3 Workgroup and their statewide realignment and long-term
4 planning efforts around bioaccumulation monitoring in
5 fish. And we have also shared this data with the EPA fish
6 group and received requests from some other states to
7 learn about ways the ACE data can be used.

8 Lastly, we are working on communicating these
9 findings, including a manuscript and accompanying
10 two-pager in community and conference settings, and are
11 exploring other products.

12 [SLIDE CHANGE]

13 KELLY CHEN: To summarize, fish and shellfish can
14 be contaminated exposing consumers to chemicals such as
15 mercury, PCBs, and PFASs. Fish, shellfish, and seafood
16 derived products are frequently consumed by API
17 participants in San Francisco Bay Area. Associations
18 between seafood consumption and PFAS serum levels were
19 observed within this highly exposed population. And more
20 data on PFAS in seafood is needed to better connect these
21 findings to policy and outreach.

22 [SLIDE CHANGE]

23 KELLY CHEN: And I wanted to thank the
24 participants in ACE 1 and ACE 2, and our community
25 partners APA Family Support Services, and VIVO, who were

1 instrumental in getting this project off the ground and
2 implemented. And also, thank you to all the Biomonitoring
3 California staff, including labs who contributed,
4 especially to Kathleen Attfield, Nerissa Wu, Emily
5 Beglarian, Duyen Kauffman, and Kiera Melton, who have also
6 been working on ACE, and to OEHHA's team, San Francisco
7 Estuary Institute, Environmental Working Group, the New
8 Jersey Department of Health, and the EPA fish group who
9 have all informed and taught us a lot about fish and
10 shellfish.

11 ACTING CHAIR LUDERER: Thank you very much, Kelly
12 for that interesting presentation. We have time for some
13 clarifying questions now. I can start with Panel members.
14 I see Tom and Oliver. Tom, you want to start.

15 PANEL MEMBER McKONE: Thank you. A very
16 interesting project. I guess a clarifying question is, so
17 we have two populations, San Francisco and San Jose. Is
18 there any effort or method to understand how the 100
19 Asian/Pacific Islanders from those two locations would be
20 representative of Asian/Pacific Islander population
21 throughout the state or different parts of the state?

22 KELLY CHEN: Thank you, Tom. That's a great
23 question. We have thought about this question and we
24 understand there are other Pacific Islanders especially
25 that aren't represented who may consume different amounts

1 of fish or different parts of fish than represented in
2 this study. I think what we're understanding is that
3 really anyone who eats a lot of fish or shellfish that is
4 contaminated would be affected. And we were interested,
5 the EPA had shared some slides on their efforts to
6 understand fish part consumption. And they sampled across
7 many different groups beyond API populations. And there
8 are French -- there are -- I'm blanking right now, but
9 many other different ethnic groups. And almost all these
10 groups were eating different parts of the fish, not just
11 API participants.

12 ACTING CHAIR LUDERER: Thank you.

13 Oliver.

14 PANEL MEMBER FIEHN: Thank you. Really
15 interesting when we think about sources of PFAS. So first
16 of all, you know three-quarters -- just to recap,
17 three-quarters of the total PFOA -- something would be
18 PFAS. And it appears that when you eat four times or more
19 often per week fish, you double your serum levels. If I
20 take these numbers in, can I conclude that fish is really
21 one of the major sources of PFAS in the body? Can we do
22 calculations of, you know, what are other sources, because
23 people are, you know, really worried about drinking water.
24 They are worried about, well, it's everywhere, right?

25 But when we now see your study and it looks like

1 I doubled my intake if I eat almost daily fish, especially
2 different fish parts, but it's really doubling. So can I
3 conclude that this is a major route of exposure?

4 KELLY CHEN: I wouldn't say that directly from
5 this study, because we weren't able to account for
6 drinking water. If we had, we might have been able to
7 make some calculations more specifically about the source
8 contribution. I know many other groups are interested in
9 this question and have tried to address it. For example,
10 the NHANES, they asked questions about fish consumption
11 and shellfish consumption. They saw even at low levels,
12 PFAS levels had increased with some of the same PFASs we
13 measured in the study. I'll also pass this off to Wes in
14 case his group has thought about this.

15 DR. WES SMITH: Yeah, I think it's really hard to
16 say without -- I mean, we focused specifically on fish
17 consumption and we don't look at the broader exposure
18 milieu, I guess. So I don't have any data to, you know,
19 suggest either way.

20 KELLY CHEN: But I would just say other studies
21 have suggested that contaminated seafood can be a major
22 exposure pathway to PFASs, especially in areas without
23 contaminated drinking water, and especially in high
24 seafood consuming populations. The Faroe Islands are a
25 great example of some of these studies where they really

1 are eating a lot of seafood compared to other types of
2 meat or dairy. And they are finding high levels of PFAS
3 due to that consumption.

4 STEPHANIE JARMUL: This is Stephanie. I see
5 Kathleen has her hand raised. She might want to
6 contribute.

7 DR. NERISSA WU: Sorry. I'll put my hand up for
8 going after Kathleen.

9 DR. KATHLEEN ATTFIELD: I just wanted to point
10 out that in the CARE studies, we have a graduate student
11 who's been looking into both the contribution from
12 different dietary sources and some information from
13 drinking water data from the previous EPA's UCMR 3 data.
14 And there, it -- sort of it depends on which of the PFAS.
15 So the smaller carbon chains that Kelly was pointing out
16 had less of a contribution show up a little bit more in
17 dairy, eggs, and white rice and the higher carbon chain
18 links, PFAS show up with a greater contribution for fish.

19 So it kind of depends on the PFAS as far as which
20 have the greater contributions. But even in her study,
21 the water contributions are actually much higher than for
22 the dietary contributions. But there's a lot of studies
23 that still need to happen to figure this out in U.S. and
24 different parts of the country.

25 ACTING CHAIR LUDERER: Thank you very much.

1 I think Carl had a question too.

2 PANEL MEMBER CRANOR: I have a complicated
3 question and you may not know enough to answer it yet, but
4 the PFOS has been around much longer, I think, than some
5 of these others. And are you seeing higher concentrations
6 of that, because it's been around longer? Does it stay in
7 the -- given the chemistry -- biochemistry, does it stay
8 in the body longer than these others are showing up less
9 well? Anybody looked at that -- at the biochemistry and
10 the interaction between these substances. We know that
11 when companies have trouble with one compound, they say,
12 oh, we're going to make this other compound. It will be
13 much better. Any evidence for that?

14 KELLY CHEN: That's because much to the
15 biokinetics, I've done a little bit of reading about some
16 of the different partitioning and different affinities,
17 different PFASs have, like PFOS compared to PFOA. Both
18 legacy compounds have different affinities for albumin,
19 which is highly found in the liver and in different parts
20 of other organisms. And in part, that explains the
21 differences in PFOS versus PFOA accumulation. I guess to
22 your point about the temporal phasing of different PFASs,
23 I haven't seen as many studies on that. I know legacy
24 PFASs being phased out and other PFASs coming in probably
25 will have an impact on what sort of PFASs appear in

1 different media and how that then gets absorbed into fish
2 and shellfish in humans.

3 But I'll pass that off, in case Wes has an
4 answer.

5 DR. WES SMITH: Yeah, and I think there's two
6 parts. There's the sort of persistence in the environment
7 and also the persistence in the human body. Within the
8 human body, it seems like PFOS is five to eight years.
9 And possibly the longer chains, I'm not particularly sure,
10 but would assume they would be longer versus -- some
11 studies have shown in the environment that there will be
12 water detections that are almost undetectable, but you'll
13 see higher accumulation in the fish. So there's that
14 bioaccumulation component that complicates matters.

15 PANEL MEMBER CRANOR: (Inaudible).

16 DR. WES SMITH: Right. Yeah, and it's -- again,
17 all these compounds are very different and complicated,
18 so -- and the mixtures are different and some of the
19 bioaccumulation pathways we see can be rela -- radically
20 different between something like a PFHxS verse one of the
21 long chain PFDA type compounds or so.

22 PANEL MEMBER CRANOR: Thank you.

23 ACTING CHAIR LUDERER: All right. Martha.

24 DR. MARTHA SANDY: Martha Sandy from OEHHA. Just
25 to add on to what's already been said. Yes, each of the

1 different PFASs has different -- different half-lives is
2 not necessarily exactly matched with or correlated to
3 length of the chain, but PFOS and PFOA have very long
4 half-lives as Wes has said.

5 There are also legacy PFASs that have been phased
6 out, but there are hundreds -- at least a hundred for
7 each, the PFOA and PFOS, precursors that other PFASs that
8 are used that break down to release PFOA or PFOS. So
9 there's a continual introduction into the environment. So
10 it's complicated.

11 PANEL MEMBER CRANOR: I knew it would be.

12 ACTING CHAIR LUDERER: I actually had a question
13 whether you were able -- or whether you have information
14 about differences between saltwater and freshwater
15 species, whether there's differences in the PFASs -- the
16 content of the PFASs and whether you were able to look at
17 that in this population.

18 KELLY CHEN: We were so interested in that
19 question. Based on the literature we've seen, freshwater
20 fish have higher levels of chemicals at least compared to
21 marine and marine fish that are not found near very
22 contaminated sites. So we tried to look at the individual
23 fish species reported and to separate them out by marine,
24 freshwater, or migratory fish after speaking with Wes's
25 group and other fish groups, but we weren't able to tease

1 apart that question just due to low numbers. But that was
2 an interesting question. And we also thought about
3 trophic levels, which again we were only able to look at
4 the highest trophic level, but not some of the other lower
5 trophic levels. But we thought these questions might help
6 advisories determine which fish to focus on or shellfish.

7 ACTING CHAIR LUDERER: Thank you. And I see that
8 Amy has a question and her hand up.

9 PANEL MEMBER PADULA: Thanks. I was wondering --
10 I know you didn't show the metals in this presentation,
11 but that they were measured. And I was wondering if any
12 of the PFAS tracked with the metals along with the fish
13 consumption? I guess I'm just curious, especially since
14 the guidance seems based on the metals, at this point,
15 whether that may be protecting people to a certain extent
16 or whether we're -- if they're mismatched, then maybe not
17 so.

18 KELLY CHEN: We were interested in mercury,
19 because that tracks pretty well with seafood consumption.
20 And here, we saw a strong correlation with some of the
21 PFASs, especially PFUnDA. I know some other groups have
22 also seen that correlation in other studies. So I hope
23 that answers your question --

24 PANEL MEMBER PADULA: Yeah. Thank you. And also
25 just want -- yeah. So I just wanted to mention how, yeah,

1 remarkable that these data are and how important they are.
2 And yeah, I also share the wish, I guess, of everyone to
3 sort out all these sources, but this is a great step. So
4 thank you.

5 STEPHANIE JARMUL: And Ulrike, we do have a
6 question from Ken. I will --

7 ACTING CHAIR LUDERER: Great. Thank you.

8 STEPHANIE JARMUL: Yep. Go ahead.

9 KEN SZUTU: Thank you. This is just a follow-up
10 on the mercury, because from a consumer's point of view,
11 for example, usually we were recommended to eat smaller
12 fish, because the accumulation. So I was wondering if you
13 have -- you have any -- you have looked into that on the
14 size of the fish instead of other considerations. Thank
15 you.

16 KELLY CHEN: We did not in our ACE data just
17 because we didn't have the exact fish consumed necessarily
18 for these questions. But I think in the literature, they
19 haven't seen a strong correlation between PFAS levels and
20 the length of fish. That's correct, Wes?

21 DR. WES SMITH: Yeah. That's generally correct
22 that the same length or age correlations that are true for
23 mercury don't seem to hold for PFAS. So it sort of
24 complicates matters and I'll speak to that a little bit in
25 my presentation.

1 KEN SZUTU: Thank you.

2 ACTING CHAIR LUDERER: I have a related question.
3 What about the -- sort of the whether the fish are
4 predatory fish or, you know, lower on the food chain, does
5 that not hold for PFAS either?

6 DR. WES SMITH: It seems to, to some extent, but
7 not completely.

8 ACTING CHAIR LUDERER: Thank you.

9 Any other comments or questions from Panel
10 members or from the public?

11 All right. I think we're actually a little past
12 the time. So, thank you again, Kelly, for that great
13 presentation.

14 And now I'd like to introduce our next speaker
15 who we've already heard from and looking forward to
16 hearing more. So Wes Smith joined OEHHA in 2012 as an
17 Associate Toxicologist in the Water Toxicology Section.
18 And now he's Chief of the Fish Ecotoxicology and Water
19 Section. And today, he'll be presenting on considerations
20 for PFASs in OEHHA's fish advisory development process.

21 Thank you, Wes.

22 (Thereupon a slide presentation).

23 DR. WES SMITH: Thank you. So I'll have a mix of
24 describing our fish advisory development process and how
25 we're thinking about PFAS, as well as presenting some data

1 of PFAS in fish in California.

2 [SLIDE CHANGE]

3 DR. WES SMITH: So starting out that our
4 advisories apply to recreationally caught fish. So these
5 are not commercial fish and it's all State waters,
6 including marine waters of California or -- State waters
7 of California, which are -- tend to be about three miles
8 offshore that are guidelines for how one can safely
9 consume fish from zero to seven meals per week. We
10 currently don't go beyond seven meals per week. We use
11 the best available science to balance the risks and
12 benefits of eating fish. And we do a thorough data review
13 and also use some professional judgment based on our
14 experience collectively.

15 [SLIDE CHANGE]

16 DR. WES SMITH: So here is an image of our fish
17 advisory webpage. There's some general information as
18 well as I mention the two populations we offer advise for.
19 And I'll explain more about that in the next slide. We
20 have general information, including a short video shown to
21 the right that we developed with UC Davis extension in how
22 to use fish advisories. Also listed are for statewide
23 advisories. So these apply to areas that don't have
24 site-specific advice. And those are available for lakes
25 and reservoirs, the California coast, rivers, streams and

1 creeks, and also for migratory fish like salmon. And then
2 we also in the upper right have an advisory map that
3 provides links to locations for sight-specific advisories.

4 [SLIDE CHANGE]

5 DR. WES SMITH: And then for the basis of the two
6 populations we offered advise for, it's based on mercury.
7 And that's the relative sensitivity and the increased
8 sensitivity of the developing nervous system. So we focus
9 on women of child-bearing age, which we define as 18 to 49
10 years and children 1 to 17 years as the sensitive
11 population, and the general population as women 50 years
12 and older and men 18 years and older.

13 [SLIDE CHANGE]

14 DR. WES SMITH: And here is a current snapshot of
15 our advisories. And in the table in the upper left, you
16 can see what we call our risk drivers. Those are the
17 chemicals that restrict in the most restrictive advice.
18 And then on the right are the percent of advisories. And
19 you might wonder why that doesn't equal a hundred percent,
20 because there's multiple species in advisory, so you can
21 have fish -- one species with mercury and another species
22 high in PCBs. So we've got these different numbers in
23 which mercury is one of the worst offenders, with PCBs
24 being the -- kind of a distant second being a little less
25 than half. Selenium is a little under 10 percent. And

1 then DDTs, dieldrin, and PBDEs taking up the rest.

2 And on the right is a map of all the
3 site-specific advisories to date with an inset of San
4 Francisco bay just showing all of the areas that have
5 different advisories.

6 [SLIDE CHANGE]

7 DR. WES SMITH: And then this is an image that
8 Kelly also showed. This is the sensitive population in
9 San Francisco Bay. And you can see a vast majority of
10 these fish we recommend no consumption or limited
11 consumption of one serving per week and that's due to PCBs
12 in mercury. And I show this as a transition in describing
13 how we develop our advisories.

14 [SLIDE CHANGE]

15 DR. WES SMITH: So there's a multi-step process
16 starting out with collection of fish. And the Safe to Eat
17 Workgroup that Kelly mentioned is hosted under the State
18 Water Board. And they arrange for collection of fish
19 samples that are used in advisory development. These fish
20 are also collected for other water quality programs. We
21 also receive additional samples from water utilities, dam
22 relicensing, and then some other governmental and
23 non-governmental organizations.

24 [SLIDE CHANGE]

25 DR. WES SMITH: And then the samples are

1 generally sent over to Moss Landing Marine Labs, where
2 they are processed and analyze for contaminants. And some
3 contaminants are analyzed by other contracted labs.

4 [SLIDE CHANGE]

5 DR. WES SMITH: And the fish tissue data are
6 uploaded into the California Environmental Data Exchange
7 Network, or CEDEN. And this is a publicly accessible
8 database that has data for fish tissue as well as a range
9 of other parameters involving water quality. We download
10 these data for specific waterbodies when we are developing
11 an advisory.

12 [SLIDE CHANGE]

13 DR. WES SMITH: And then we screen the data to
14 make sure it meets our minimum fish length, which is
15 either a legal length or what we define as an edible
16 length, which we operationalize as a length at maturity
17 about -- which is about 80 percent of its overall length.
18 We're trying to get a good approximation of what the
19 contaminant concentrations will be, so we do have
20 protective advice.

21 For our sample size, we require a minimum of nine
22 individual fish, but this changes depending on the size of
23 the water body. And we also screen to make sure all the
24 data meet our criteria and we confirm a final data set and
25 take -- and develop a tissue concentration for each

1 chemical for each species at each water body. So
2 generally, at least PCBs and mercury are analyzed. So
3 we'll develop tissue concentrations for both of those for
4 each species.

5 [SLIDE CHANGE]

6 DR. WES SMITH: And then we compare the tissue
7 levels to our advisory tissue levels that have been
8 developed for eight compounds to date. And they provide
9 the recommended eight ounce servings of zero to seven per
10 week, again encourage health benefits. And we don't view
11 these as bright lines, but they're our starting point.
12 And we typically look at specific characteristics of the
13 fish species, the range of the tissue concentrations, the
14 specific habitat, the specific water body. These data
15 aren't as -- quite as clean as laboratory data, so there's
16 a lot of lumping and splitting so to speak. And the ATLS
17 can be based on cancer or noncancer endpoints.

18 [SLIDE CHANGE]

19 DR. WES SMITH: And just for a frame of
20 reference, this is our noncancer endpoint, which we use an
21 RfD that's chemical specific, a default body weight of 70
22 kilograms, a consumption rate of one to seven 8 ounce
23 servings, which is approximately 32 grams up to 224 grams
24 per day. And we also utilize a cooking reduction factor
25 for organic contaminants, like PCBs and DDTs, assuming

1 that the fish is cooked and those juices are allowed to
2 drain away.

3 [SLIDE CHANGE]

4 DR. WES SMITH: And for our cancer endpoints, we
5 use a risk level of 10 to the minus 4, rather than 10 to
6 the minus 6, because we're trying to encourage fish
7 consumption and provide benefits. We also develop other
8 levels, which we call fish contaminant goals, which are
9 more of a screening level that use a 10 to the minus 6
10 risk level. And then beyond that, we use the same body
11 weight of 70 kilograms per day, a cancer slope factor
12 specific to each contaminant and then 30 years of exposure
13 over a 70-year lifetime and we use the same consumption
14 rate and cooking reduction factor for specific organic
15 contaminants.

16 [SLIDE CHANGE]

17 DR. WES SMITH: So we have developed ATLS for
18 mercury and selenium. Mercury again being a specific
19 issue in California due to gold and mercury mining. It
20 tends to be most pervasive in Northern California, but
21 it's also a global pollutant due to atmospheric fallout.
22 Selenium is an issue is seen around 10 percent of our
23 advisories and that tends to be more problematic in
24 Southern and Central California.

25 We also look at PCBs and PBDEs. And then four

1 pesticides, of which the last two chlordane and toxaphene
2 don't -- aren't -- don't currently drive the risk in any
3 of our advisories.

4 [SLIDE CHANGE]

5 DR. WES SMITH: And this the table of all the
6 ATIs, but I won't make you strain and try to understand
7 all of this.

8 [SLIDE CHANGE]

9 DR. WES SMITH: So we'll focus on the two
10 populations for mercury. And one of the first numbers
11 that we look at is the do-not-eat threshold. So for the
12 sensitive population, it's 440 parts per billion and then
13 1,310 parts per billion for the general population. And
14 this threefold difference is due to a threefold difference
15 in the RfD used to derive these numbers.

16 And we also focus on these one to two meal per
17 week frequencies, understanding that the literature
18 suggests that these are where the benefits are gained and
19 tend to plateau at around that two meal per week category.
20 So they tend to be some of our important markers.

21 [SLIDE CHANGE]

22 DR. WES SMITH: And because these chemicals don't
23 play nicely, they all tend to accumulate in fish. We do
24 evaluate certain chemicals together, such as mercury and
25 PCBs, which have similar adverse developmental effects.

1 And we use a hazard index approach assuming additivity
2 among the compounds. And this just means that two or more
3 chemicals may result in fewer servings per week than would
4 be one chemical alone and this is just carried out for the
5 sensitive population.

6 [SLIDE CHANGE]

7 DR. WES SMITH: So after we go through all that
8 process, we develop a final report and posters that are
9 posted on our website as well as a press release and fact
10 sheets. And posters are produced in English, and Spanish,
11 and occasionally other languages where merited.

12 [SLIDE CHANGE]

13 DR. WES SMITH: So transitioning over to PFAS,
14 I'll focus San Francisco Bay. This is our best data set
15 in California to this point. And I'd like to thank Jay
16 Davis and Miguel Mendez of the San Francisco Estuary
17 Institute for providing these slides to me. And I would
18 agree that this is a great monitoring program. It's 30
19 years old. And it -- one of the benefits of this
20 monitoring program is how often the sampling is repeated
21 every three years up to 2009 and then five years since
22 then. This is a sampling year, so data will be coming
23 forth. There are a range of species of many hundreds of
24 samples, many contaminants, but yet still gaps remain.

25 [SLIDE CHANGE]

1 DR. WES SMITH: And then focusing specifically on
2 PFAS, SFEI started monitoring PFAS in 2009, and also 2014,
3 and most recently 2019. And they used six locations.
4 It's a little hard to see on the monitors, but the purple
5 circles denote those locations in which they look at five
6 species, 111 fish, and 16 samples. And it's a general
7 practice to combine fish in what's called a composite to
8 lower the cost of -- the analytical costs, but yet again
9 still gaps remain. And to help close some of those gaps,
10 SFEI has initiated evaluating some archive samples. So
11 they're looking at samples for four species across
12 different years of collection. And this is especially
13 useful because some of those earlier analyses didn't have
14 as sensitive of analytical techniques, so it -- this
15 reanalysis -- this current analysis will bring some of
16 those detection levels down to where the concern for human
17 health is. And again, it is a targeted method for 40
18 PFAS.

19 [SLIDE CHANGE]

20 DR. WES SMITH: And this is some of the data from
21 2019 looking at both species and location. And you can
22 see that that highest bar over to the left is for large
23 mouth bass. And that is a freshwater species. And that
24 is separate from San Francisco Bay due to a weir that
25 separates the fresh water and the salt water. And it's

1 also been noted that there's a wastewater treatment plant
2 outfall in this region, so it's potentially a worst case
3 scenario.

4 And also, if you look at the next highest three
5 bars, and if -- the common denominator there is that
6 they're all in the south bay. And this has been
7 postulated that it's due to a shallower bay. There's less
8 tidal flushing and less fresh water influence. But all of
9 the species that have been sampled there have
10 relatively -- oops, I got a little -- I was getting away
11 from myself -- high levels of PFAS. And to some of the
12 questions about some of the more predatory fish
13 accumulating more, the largemouth bass, stripe bass, and
14 white sturgeon are higher trophic fish that are
15 piscivorous eating other fish, so we do see higher levels.
16 But the white croaker and shiner surfperch tend not to be
17 as predatory, but yet they still accumulate relatively
18 high levels.

19 And then just in line with some of the data that
20 Kelly presented, focusing on PFOS and some of the PFNA,
21 PFDA, and PFUnA, someone of the longer chain compounds
22 making up that balance of PFAS, but also noting that PFDA
23 and then some of the 12, 13, 14 chains also tend to be
24 present within fish tissue.

25 [SLIDE CHANGE]

1 DR. WES SMITH: And so that's our best data set
2 as of yet in California. But the State Water Board is
3 really undergoing an effort to look at more samples across
4 the State in which this 150 archived samples are slated
5 for analysis and this is a bit of a teaser for the next
6 STEW meeting. That is a public meeting, so people can
7 register there and find out more about where samples will
8 be coming from.

9 [SLIDE CHANGE]

10 DR. WES SMITH: So just some of the
11 considerations for both bioaccumulation and exposure for
12 PFAS. Some of the historical models that have been used
13 for persistent organic pollutants like DDT and PCBs are not
14 necessarily predictive of PFAS accumulation. And that's
15 just due to some of their physical chemical
16 characteristics that can change across the different
17 compounds and complicate matters. Again, there's no real
18 correlation with length or age that we've seen. Some of
19 the smallest species we've looked at have some of the
20 highest levels. And part of that is due to the analysis,
21 whether it's done on whole fish, fish organs, or just fish
22 filet.

23 And also higher trophic species, like the striped
24 bass, and largemouth bass tend to be high. But also
25 bottom-feeding species in this the one study by Ye et al.,

1 carp were very high in PFAS levels.

2 And to reiterate what Kelly noted that PFAS tends
3 to dominate the fish -- the concentrations in fish tissue.

4 [SLIDE CHANGE]

5 DR. WES SMITH: So in development of ATLs for
6 PFOS, we're reviewing literature. The SF Bay RMP sampling
7 is their best data set. We also have some data for
8 Russian River. And there was some PFOS sampling down in
9 San Diego Bay, but there are a lot more samples coming
10 with the new statewide sampling. And also scoping our
11 ATLs, we're planning to start with PFOS, just given that
12 it is so abundant in fish tissue. And one thing to note
13 is that the water program at OEHHA has developed health
14 protective concentrations for drinking water that were
15 used in the development of a public health goal for PFOS.

16 [SLIDE CHANGE]

17 DR. WES SMITH: And looking forward, we're also
18 evaluating levels of PFOA in tissues. And as Kelly also
19 stated, this tends to be more the case for shellfish,
20 because they seem to show higher levels than do finfish.
21 And also evaluating some of the other compounds that are
22 detected in seafood. Again, as Kelly noted, that these
23 four compounds acute -- account for 95 percent of the PFAS
24 found in freshwater fish.

25 And just back to the point of the freshwater

1 versus marine fish, typically, marine fish tend to be
2 lower from studies done by FDA. And I think that may be
3 due to just exposure sources versus San Francisco Bay is
4 salt water, but it's surrounded and has such high
5 anthropogenic input.

6 [SLIDE CHANGE]

7 DR. WES SMITH: So I'd just like to thank folks
8 at CDPH Biomonitoring. We've had some great conversations
9 over the past year, again folks at SFEI, the OEHHA fish
10 team, and Anna Holder is an amazing human who makes the
11 STEW happen and makes them a very enjoyable process. So
12 with that, I'll take any questions.

13 ACTING CHAIR LUDERER: Thank you very much. That
14 was a great presentation.

15 Any -- we'll start with questions -- clarifying
16 questions from the Panel as usual. Start with Oliver this
17 time.

18 PANEL MEMBER FIEHN: Okay. I beat Tom. So,
19 yeah, thank you. That is amazing.

20 I was looking, or specifically interested in this
21 huge differences on location. For example, the white
22 sturgeon south bay versus Suisun Bay sixfold differences,
23 right, or more, maybe eightfold or so.

24 You know, and we see this also for, you know,
25 like at least twofold differences for other fish like the

1 shiner surfperch and the white croaker. Why is that?

2 DR. WES SMITH: There's some -- like I mentioned,
3 some of the tidal flushing will -- for the north bay, the
4 water will -- at least if the PFAS are dissolved in the
5 water, they'll move out and there will be some mixing with
6 the marine waters. And also with the Sacramento River
7 flowing in, there's that fresh water input. Also being
8 that the south bay tends to be shallower, so there's less
9 chance of PFAS -- there's less dilution and less chance
10 for them to sediment.

11 I believe there has also been some suggestion
12 that sediment levels tend to be higher in the south bay.
13 I don't know specifically what those -- the inputs are,
14 other than that one cited outfall by Artesian Slough.

15 PANEL MEMBER FIEHN: Okay. Thanks.

16 ACTING CHAIR LUDERER: Tom, you had a question.

17 PANEL MEMBER MCKONE: Yeah, I actually have two,
18 but hopefully they're short. So, I mean, the first
19 question in the equation you had for ATL and body weight
20 you said 70, but do you actually use a different body
21 weight for women and children?

22 DR. WES SMITH: We use the same body weight for
23 both. It's sort of an average body weight to cover -- I
24 guess it's on the lower end to make it more health
25 protective, but we use different RfDs for --

1 PANEL MEMBER MCKONE: Oh, okay. So you use a
2 child-base RfD or --

3 DR. WES SMITH: It's from studies based on
4 exposure and developmental endpoints.

5 PANEL MEMBER MCKONE: All right. Well, those
6 studies would probably adjust the body weight, I'm
7 guessing. But, you know, the children-specific studies
8 and women of child-bearing age probably account for the
9 number of differences --

10 DR. WES SMITH: Right, the exposure in --

11 PANEL MEMBER MCKONE: -- number of exposure
12 differences.

13 DR. WES SMITH: Right, in the -- at the specific
14 endpoint.

15 PANEL MEMBER MCKONE: And I guess the other
16 question is you did bring up the problem with the
17 bioaccumulation model, you know, the classic model that
18 was developed for PCBs, DDD, DDT and all the other like
19 chloro -- organochlorine compounds work great. I mean,
20 the lipid Kow, right, was a great predictor because it's a
21 water lipid ratio. It doesn't work for these compounds.

22 Is there a model that is out there that you've
23 been able to use or has anyone proposed a model for the
24 kind of bioaccumulation we see from PFAS compounds through
25 protein binding and other mechanisms?

1 DR. WES SMITH: I haven't personally seen a
2 model. And again, it would -- I assume it would have to
3 be PFAS specific, because some of their characteristics
4 change and some of the information I've read described
5 some of the differences in sort of a -- the way they like
6 surfaces, because they're a surfactant, so that can really
7 skew the way the models predict what the bioaccumulation
8 might be like. And so the short answer is no.

9 And also studies looking at bioaccumulation
10 factors have shown differences depending on the water body
11 and the bioaccumulation chain for different types of
12 species. I think as more research is done, we'll better
13 understand that problem. But generally for our fish
14 advisory program, we rely on fish tissue data, so we don't
15 have to worry about the uncertainties of the
16 bioaccumulation, because -- to provide better public
17 health advice.

18 PANEL MEMBER MCKONE: That makes sense. Thank
19 you very much.

20 ACTING CHAIR LUDERER: Kind of related to that
21 question is, has anyone looked at whether there's
22 interactions with these? You know, if you're -- because
23 you're not just exposed to one of them at a time, right,
24 or the fish aren't, in terms of bioaccumulation?

25 DR. WES SMITH: That's a really good question. I

1 haven't seen anyone look at the interactions. And it's
2 interesting that we've seen some data in planted trout
3 which usually are very low in contaminants, but that
4 showed high levels of PFAS. And my assumption is its
5 through insects accumulating in the PFAS, because the
6 trout when they're young tend to eat insects, which is
7 different than the other contaminants we look at, because
8 mercury is generally methylated, and then it's up the
9 chain through fish eating other fish. And the PCBs are
10 more of a lipophilic related phenomenon. So it's -- yeah,
11 lots of questions to be asked and answers to be found
12 hopefully.

13 ACTING CHAIR LUDERER: Thank you. Very
14 interesting.

15 Any other questions from the Panel members or
16 comments, discussion?

17 Do we have any from the public, any questions,
18 people who wanted to speak?

19 No.

20 STEPHANIE JARMUL: Nothing online.

21 ACTING CHAIR LUDERER: Okay. Thank you.

22 What do you think is the most --

23 PANEL MEMBER QUINTANA: I just -- oh, sorry,
24 Ulrike. It's Jenny.

25 ACTING CHAIR LUDERER: Yes, go ahead.

1 PANEL MEMBER QUINTANA: I meant to -- I couldn't
2 find the button to raise my hand. Sorry.

3 ACTING CHAIR LUDERER: Okay. Yeah, actually --
4 okay. Yeah. I was just hoping I hadn't missed you, so go
5 ahead.

6 (Laughter).

7 PANEL MEMBER QUINTANA: Sorry about that. I just
8 had a quick question, and I apologize if this was covered
9 earlier, but I'm wondering how much is really known about
10 imported freshwater fish? I've seen some stuff on marine
11 fish, but -- like if people were thinking, oh, I can't
12 catch my own, but I'm going to buy this other stuff that
13 comes from some other country, like how much is known
14 about substitutes for these fish?

15 DR. WES SMITH: Yeah. I mean, the U.S. FDA did a
16 study, Young et al., that Kelly cited and I also had it in
17 mine, and they -- there were PFAS detected in certain
18 shellfish. I think most of those species were relatively
19 low in the -- finfish were relatively low in PFAS. But
20 again, it really depends on where the fish are caught.
21 And so it's highly variable.

22 PANEL MEMBER QUINTANA: Yeah. I wasn't thinking
23 so much studies around the world, but I'm just wondering
24 literally on imports into our country if people have
25 studied those imports.

1 DR. WES SMITH: Just -- I don't know. I don't
2 remember specifics from that study, but they did look at
3 specific imports. And one of their imports -- I think the
4 clams from -- I don't recall if it was Asia were -- tended
5 to be higher in PFOA.

6 PANEL MEMBER QUINTANA: Thank you.

7 ACTING CHAIR LUDERER: You know, you talked about
8 the regional monitoring program, and that sounds like
9 that's been going on for some time. Do we have time trend
10 data for any of these PFASs from that program?

11 DR. WES SMITH: They have looked at time trend
12 data, and they're, I think, slightly increasing
13 unfortunately. Most of the work has been done on mercury
14 and they're -- a lot of the statewide sampling is to look
15 at mercury. The PFAS time trends are just for San
16 Francisco Bay and they're either steady or a slight
17 increase, but hopefully we'll see a decrease over time.

18 ACTING CHAIR LUDERER: It would be nice if we
19 could report a decrease already, but -- any other
20 questions from -- yes, Oliver.

21 PANEL MEMBER FIEHN: Yeah. Great again. I mean,
22 fantastic discussion. And every time I think that's a
23 good question. So I have another question on how to reach
24 the people. So this is an OEHHA guide and then some
25 specific on the San Francisco Bay. And, you know, you

1 have all the other advisories. So usually you know them
2 like, okay, don't eat this fish, because it's endangered,
3 and this one is very endangered. And now we have another
4 one that says, well, this one has mercury and this one has
5 my PFAS, and this one is from a location where you have
6 maybe more PFASs.

7 So how do we convey information, and what's the
8 strategy here, and how many shops, supermarkets, Costcos
9 of the -- you know, let's say in the north -- in Northern
10 California are using this?

11 DR. WES SMITH: Yeah, that's a really good point
12 and that's our biggest area of where we put effort in is
13 trying to communicate this information. And again, we're
14 just focusing on recreationally caught fish. So we do
15 produce those --

16 PANEL MEMBER FIEHN: Okay.

17 DR. WES SMITH: -- advisory posters, but we also
18 try to work with different groups, such as the realignment
19 program through the STEW and some of the work that CDPH
20 done -- has done with the AAPI communities around the Bay.
21 We try to do more of a train-the-trainer approach, so we
22 provide information to community groups where possible, so
23 that the information can be disseminated that way.

24 PANEL MEMBER FIEHN: Markets.

25 DR. WES SMITH: We haven't real -- again the

1 recreationally caught fish that aren't sold because it's
2 not commercial, so these signs are posted at waterbodies.
3 It's a State requirement that they're posted in areas
4 where people will likely see them.

5 ACTING CHAIR LUDERER: Are there any comments
6 from -- oh. Okay. Great. Thank you. I wanted to let
7 everyone know that the -- we can open up this discussion,
8 not only for questions on Wes's presentation, but also on
9 Kelly's presentation. So if folks have additional
10 questions about the -- that presentation on seafood
11 consumption among Asian/Pacific Islanders in the San
12 Francisco Bay.

13 STEPHANIE JARMUL: I do have Ken online.

14 ACTING CHAIR LUDERER: Great.

15 STEPHANIE JARMUL: Do you want to unmute
16 yourself, Ken?

17 ACTING CHAIR LUDERER: Thank you.

18 KEN SZUTU: Thank you.

19 And first of all, yes, I did see this warning
20 postcard saying -- posted on -- along our shoreline of
21 where people can do fishing. And I think that what I
22 learned today is actually I think that the poster will be
23 different at different location. Originally, when I saw
24 that, I thought that would be like one poster like
25 everywhere you would see them, but today it looks like

1 it's going to be different at different location. That's
2 the first thing.

3 The second thing which is I want to even make it
4 more complicated, is I was wondering, is there any
5 consideration regarding, for example, the nuclear
6 wastewater discharged from Japan and will that be carried
7 into the coastline of California?

8 Thank you.

9 DR. WES SMITH: Yeah. Thanks for the question.
10 The advisories will be different at different waterbodies.
11 And thank you, I'm glad to see that they are posted there
12 and still remaining, because sometimes they get taken
13 down.

14 The Fukushima disaster predated my time at OEHHA,
15 but it was my understanding that the levels of
16 radionuclides were low enough that there wasn't a risk to
17 human health through the consumption of fish.

18 KEN SZUTU: Okay. Thank you.

19 ACTING CHAIR LUDERER: Thank you. Yeah. Tom.

20 PANEL MEMBER MCKONE: If I could comment. I
21 spent a lot of time -- I was around for Fukushima. I
22 ended up being a resource for -- with the university. So
23 we looked a lot with the nuclear engineering department.
24 We spent a lot of time looking at levels airborne and what
25 would come to the coast. I mean, the basic thing is the

1 Pacific ocean is really large. I mean, there's a lot of
2 dilution there. And you couldn't find the radiation of
3 Fukushima given the naturally occurring radionuclides that
4 be would in the water anyway.

5 So it wouldn't be -- it would be kind of a futile
6 exercise to go looking for anything. But, I mean, the
7 advantage we have is distance, but the quantity of water
8 in the Pacific ocean, if you want to look it up, the
9 dilution factor you get is phenomenal fortunately.

10 KEN SZUTU: Thank you. But I think what I'm
11 concerned about is just like the pollution for plastic in
12 our ocean. I think if we just look at one source, yes, it
13 is -- it can be diluted very quickly. But I think the
14 concept of letting the source discharge polluted water
15 into the ocean is a concern. Because if we look at
16 plastic, it's like what's wrong with throwing a bottle in
17 the -- in the river or in the ocean? But if we have
18 everybody around the world is doing that, I think that is
19 going to be a cumulative impact.

20 Thank you.

21 PANEL MEMBER MCKONE: Yeah, just to comment. I
22 wasn't discounting any other -- I mean, the problem with
23 plastics and microplastics is the quantity is huge and
24 they don't sink and they don't dilute well. They tend to,
25 I think, stay more toward the surface. So no, it was not

1 an excuse. It's just don't worry about Fukushima
2 specifically, but I was not trying to discount that we
3 shouldn't -- that we should be able to dump things into
4 the ocean, because it's so big. It's really not --

5 KEN SZUTU: Thank you.

6 PANEL MEMBER MCKONE: -- in the context of other
7 things.

8 KEN SZUTU: Thank you for that clarification.

9 DR. WES SMITH: And microplastics are a whole
10 nother conference.

11 ACTING CHAIR LUDERER: Oliver.

12 PANEL MEMBER FIEHN: So since we are in a general
13 discussion and it's always fun to have a general
14 discussion, and looking at all the speakers today, looking
15 at surveillance and monitoring, and then slowly looking
16 into risk assessments. Okay. That's what you try to do
17 here, you know. When you do these warnings, and risk
18 assessment is, of course, very hard, because you have to
19 know a little bit about long-term effects and we don't
20 necessarily.

21 At the same time, you know, we understand now
22 that the EPA has given specific limits for PFOS and
23 different types of categories in drinking water. So they
24 have some data that limits some exposures there. But I
25 wonder at the same time that when I went to the ASMS,

1 American Society for Mass Spec, there were lots of talks
2 about, you know, untargeted, non-targeted analyses of PFAS
3 to understand how many there are. And there were numbers
4 that reach in the thousands of individual species.

5 Okay. So that raises the question, are we
6 looking at the right targets? And what do we know about
7 individual risks for specific diseases, specific long-term
8 consequences? And we didn't talk about it today here
9 obviously. But from those three experts of panel --
10 people of speakers who, you know, may be -- or anyone
11 else, what do we know today about different classes and
12 relative risks for long-term consequences and illnesses?

13 So that's a very generic question, a very general
14 discussion section.

15 DR. WES SMITH: Yeah. I haven't focused on the
16 broader work -- the health effects of all the PFAS. I
17 mean, because of the complexity of the bioaccumulation and
18 the other contaminants we're dealing with, we've been
19 focusing primarily on those that occur in fish. But
20 there's also all the other contributions and if there's
21 additive or synergistic type of effects, it's -- I think
22 it presents a very complex problem to think about.

23 I mean, and just looking at the potential for
24 exposure and damage from half-life I think is one
25 potential approach to know how long these compounds stay

1 in the human body and fact -- as one index of risk
2 assessment.

3 PANEL MEMBER FIEHN: So like short-chain
4 sulfonated, because the turnover might be higher, would
5 get a lower risk score?

6 DR. WES SMITH: Possibly. It would have to be
7 looked at, but it's a way possibly to tier how you think
8 about the different compounds and then maybe look at
9 relative toxicities over time. I'm just throwing -- I'm
10 hypothesizing different potential approaches.

11 PANEL MEMBER FIEHN: So, in mouse models?

12 DR. WES SMITH: Yes.

13 PANEL MEMBER McKONE: Can I follow up with --

14 ACTING CHAIR LUDERER: Yes, Tom.

15 PANEL MEMBER McKONE: So are there -- often we
16 get toxicity data for aquatic species before we get it for
17 humans, right, just because it's easier to -- are there
18 guidelines for eco -- aquatic ecosystems or fish species
19 out there that have been published by, you know, academic
20 or --

21 DR. WES SMITH: I -- to be honest, I haven't seen
22 a whole lot. I've seen -- there are clearly studies on
23 the envir -- the ecotoxicology of PFAS, but I haven't seen
24 where there's been a huge -- and it may be out there, just
25 because I haven't looked at. I've seen more in the

1 microplastic realm than I have in the PFAS realm, but I'm
2 not that familiar with that literature.

3 PANEL MEMBER MCKONE: I mean, sometimes they tend
4 to do relative ranking. I mean, that would -- to Oliver's
5 question, that might give us some insight about which ones
6 are more or less toxic, because most of toxicology is rats
7 and mice anyway. And so why not -- why not start with
8 fish.

9 DR. WES SMITH: Kind of like species sensitivity
10 distribution.

11 PANEL MEMBER MCKONE: Yeah, right, species
12 sensitivity would be -- I guess -- and then another
13 question is, is OEHHHA working on, you know, a guideline
14 for these compounds, like a unit risk factor or slope
15 factor, something like a REL?

16 DR. WES SMITH: Like a -- are you talking the
17 other compounds beyond PFOS, PFOA?

18 PANEL MEMBER MCKONE: Or just the -- in the PFAS
19 family, are there any listings on -- I was going to look,
20 but --

21 DR. WES SMITH: There is a public health goal for
22 both PFOA and PFOS. So we have derived cancer, noncancer
23 health protective concentrations as they're termed. And
24 there are other programs within OEHHHA working on that, but
25 I'm definitely not the best person to speak to that.

1 PANEL MEMBER MCKONE: Yeah, I'm just -- I mean,
2 if somebody else needed to. I was just curious whether
3 the -- because for most chemicals, you just go to the
4 website, type in the name, and then you get -- you get the
5 RELs, you get the public health goals, you get Prop 65
6 numbers. It all pops right up on one website. So that's
7 a --

8 DR. WES SMITH: And I think we have the right
9 person for that.

10 PANEL MEMBER MCKONE: Yes.

11 ACTING CHAIR LUDERER: Martha

12 DR. MARTHA SANDY: Martha Sandy. Yeah, so
13 there's a whole group of people in OEHHA and various
14 programs looking at PFASs. The water program, besides
15 having the public health goals that Wes mentioned for PFOA
16 and PFOS has notification levels for other PFASs. And I
17 don't want to name them, because I'll probably miss
18 them -- some of them, but there are several. And then
19 there's active work ongoing.

20 Under Proposition 65, we've listed a few PFASs,
21 either as carcinogens or reproductive toxicants, so PFOA
22 and PFOS for cancer. PFOA, PFOS, PFNA are all listed for
23 reproductive toxicity, but it's -- there's ongoing
24 research and we're actively monitoring what other groups,
25 states, and the federal level are doing as well, and the

1 research. And some of these numbers I'll just say are
2 based on human studies, PFOS, the cancer slope factor is
3 based on epidemiology, not toxicology data.

4 PANEL MEMBER MCKONE: Thank you.

5 ACTING CHAIR LUDERER: Yeah, I think there's also
6 human data on hypertensive disorders of pregnancy, if I'm
7 remembering right with PFOS.

8 Any other comments, questions?

9 Public input.

10 STEPHANIE JARMUL: I can ask a -- this is
11 Stephanie, but --

12 ACTING CHAIR LUDERER: Okay. Great.

13 STEPHANIE JARMUL: Can you hear me?

14 ACTING CHAIR LUDERER: Yes.

15 STEPHANIE JARMUL: Jenny was curious, are signs
16 posted at stores that sell fishing gear or bait? This is
17 for Wes.

18 DR. WES SMITH: Occasionally, as long as a -- the
19 owner is willing to post them. They're -- yeah, for
20 the -- for OEHHA's fish advisories, some of those are
21 posted either near or at fishing locations. And that's a
22 relatively new program that has been implemented over the
23 past couple years and is still ongoing to -- where there's
24 the requirement for those signs to be posted.

25 ACTING CHAIR LUDERER: All right. Any additional

1 questions, discussion, Panel members, members of the
2 public?

3 All right. Then I think -- let's see, I think we
4 have coming up after this a 15-minute break. Shall we
5 just take that now and do a little -- yep.

6 STEPHANIE JARMUL: Yeah.

7 ACTING CHAIR LUDERER: Okay. So we'll do that.
8 And than you so much, Wes, that was a great talk.

9 DR. WES SMITH: Yeah. Thank you very much for
10 the questions.

11 ACTING DIRECTOR EDWARDS: We'll come back at
12 2:52.

13 (Off record: 2:37 p.m.)

14 (Thereupon a recess was taken.)

15 (On record: 2:58 p.m.)

16 ACTING CHAIR LUDERER: Welcome back, everyone.
17 In the next agenda item, we're going to be hearing from
18 Dina Dobraca. Dina is a Research Scientist at CDPH and
19 today she's going to be presenting on trends of PFASs and
20 persist organic pollutants, or POPs, in pregnant
21 Californians. So, welcome, Dina.

22 (Thereupon a slide presentation).

23 DINA DOBRACA: Good afternoon. Thank you.

24 I will be presenting on all of the descriptive
25 statistics from Biomonitoring California's studies

1 measuring environmental chemicals in prenatal samples.

2 [SLIDE CHANGE]

3 DINA DOBRACA: As background, the aim of our work
4 is to have population level estimates to help assess
5 exposures of potentially harmful chemicals throughout the
6 state of California. And with the set of studies that
7 I'll be presenting on today, Biomonitoring California has
8 examined the feasibility of using prenatal samples from
9 the Genetic Disease Screening Program. And this
10 collaboration with the Genetic Disease Screening Program
11 has allowed the Program to obtain regional or county-wide
12 samples without the logistics and cost of going into the
13 field.

14 [SLIDE CHANGE]

15 DINA DOBRACA: The Genetic Disease Screening
16 Program contains multiple programs. The one that we are
17 collaborating with is the Prenatal Screening Program.
18 Prenatal screening is offered to all pregnant individuals
19 statewide to test for birth defects during the second
20 trimester from 15 to 20 weeks gestational age.

21 Historically, about 70 percent of California's
22 pregnant population participates. And there are a number
23 of benefits to utilizing these samples, including the
24 standardization of their sample collection materials, in
25 particular the narrow sample collection time frame.

1 [SLIDE CHANGE]

2 DINA DOBRACA: The California Biobank Program
3 houses the Genetic Disease Screening Program's
4 biospecimens. And prenatal samples from seven counties
5 total are archived, the ones shown on the map, the Central
6 Valley counties as well as Orange and San Diego. Prenatal
7 samples from all other counties in the state are typically
8 discarded after one month, but can be saved upon request.

9 [SLIDE CHANGE]

10 DINA DOBRACA: So MAMAS, or Measuring Analytes in
11 Maternal Archived Samples, was a project that
12 Biomonitoring California undertook that leveraged the
13 Genetic Disease Screening Program to collect information
14 on exposures throughout the state. This map is the
15 sampling regions included in the MAMAS study. MAMAS 1 we
16 utilized the archived samples in California Biobank, and
17 they're from Orange and San Diego counties and it's shown
18 in orange on the map.

19 For our second collaboration with MAMAS, we
20 collected samples throughout the state, and thus we
21 required non-biobanked counties. The regions we selected
22 from are shown in blue. The northern counties, the
23 Alameda/Contra Costa, LA County alone, and then San
24 Bernardino/Riverside.

25 And then for MAMAS 3, the three regions are shown

1 in green. It was the north bay counties, San Francisco
2 and central coastal counties, and then southern counties
3 going down to Imperial.

4 [SLIDE CHANGE]

5 DINA DOBRACA: I want to highlight the study
6 design differences between the three MAMAS studies. MAMAS
7 1 used archived samples. Since the sampling frame is
8 complete at the beginning of the study, there's two major
9 benefits to that. First is that you can sample across the
10 entire year, because you have all the samples accessible
11 to you at the same time. And the second is that we were
12 able to do a random stratified sampling design and have an
13 equal number of participants from the selected race/ethnic
14 categories of Asian, Black, Hispanic, and White. We
15 obtained detailed Asian ethnicity information from
16 prenatal screening participants in the region. And the
17 most populous Asian ethnicities were Chinese, Vietnamese,
18 and Filipina. So we restricted our Asian sampling to
19 those three Asian ethnicities.

20 [SLIDE CHANGE]

21 DINA DOBRACA: For MAMAS 2 and 3, we were using
22 non-biobank samples, which again are typically discarded
23 one month after prenatal screening. So the MAMAS 2
24 samples had to be collected concurrent to implementing the
25 study. Sample collection began in September of 2015 and

1 completed in April of 2016. Within each region, we had a
2 region-stratified sampling design, we had an equal number
3 of samples by race/ethnicity using a quota-based sampling,
4 and with again the same Asian ethnicities we had selected
5 for MAMAS 1.

6 And then MAMAS 3 samples, the same as MAMAS 2
7 samples, were from non-biobanked counties sample
8 collection collected prospectively. Sample collection
9 began in July of 2016 and completed in January of 2017.

10 [SLIDE CHANGE]

11 DINA DOBRACA: This table summarizes the key
12 differences between the MAMAS studies in terms of sample
13 size, collection dates and geography. Of note is the
14 final column. Due to available sample volume,
15 participants were in two distinct subsamples, they were
16 PFAS only or they were POPs only. And so we -- you can
17 kind of think of these as two distinct subcohorts, as I
18 present all the MAMAS data for this presentation.

19 And then due to MAMAS 1 sampling counts, we had a
20 limited number of Asian samples. And so all of the Asian
21 samples were put in the PFAS-only cohort and none were put
22 in the POPs subsample.

23 [SLIDE CHANGE]

24 DINA DOBRACA: Okay. So next, I will focus on
25 the PFAS subsample and the findings across the MAMAS

1 studies. As measured -- mentioned by prior presenters
2 today, PFASs are persistent organic -- or, sorry,
3 persistent environmental chemicals with known and
4 suspected health effects and human exposure can occur
5 through several pathways.

6 [SLIDE CHANGE]

7 DINA DOBRACA: Our questions were, does PFAS
8 exposure vary by demographic characteristics and what are
9 the trends in California residents' exposures to PFASs?

10 [SLIDE CHANGE]

11 DINA DOBRACA: So here are the demographic
12 characteristics of the PFAS sample. By design, race
13 ethnicity was balanced across the studies, which allowed
14 us to calculate race/ethnic-specific estimates. Due to
15 the smaller PFAS subsample for MAMAS 3, there are smaller
16 numbers of Chinese, Filipina, and Vietnamese participants
17 in that study. So when we present race/ethnic-specific
18 estimates, we will combine MAMAS 2 and 3 numbers to have
19 sufficient numbers to create an estimate.

20 When we compare our data to national data, NHANES
21 only presents an overall Asian category and does not
22 provide Asian subgroup information in their publicly
23 accessible data sets. So when we compare MAMAS data to
24 national data, within each MAMAS study, we have collapsed
25 our Asian ethnicities into an overall Asian category. So

1 you'll see that as well in the presentation.

2 We would have liked to have a measure of
3 socioeconomic status from the pregnant individuals, such
4 as their income or their education. Those variables are
5 not collected with a test request form with prenatal
6 screening. What they do have is insurance information.
7 So we use Medi-Cal yes/no as an approximate for that
8 variable. Again, socioeconomic status was not part of our
9 stratified sampling design. There is a very consistent
10 distribution of Medi-Cal insurance across the MAMAS
11 studies.

12 Age was not part of our stratified sampling
13 design. There is a consistent distribution of age across
14 the studies. As expected, nearly all pregnancies are
15 between ages 15 and 45 years old with most occurring in
16 their early 30s. And next, I'll be focusing on the PFAS
17 results from this subsample.

18 [SLIDE CHANGE]

19 DINA DOBRACA: So PFASs are ubiquitous. Of the
20 11 PFASs measured in MAMAS 1, seven were detected in more
21 than 65 percent of samples. And of those same 11,
22 sometimes they're referred to as legacy PFASs measured in
23 MAMAS 2 and 3, six were detected in more than 65 percent
24 of samples.

25 And the highlighted PFASs on this slide were

1 detected in every sample. This means that every child
2 born to these pregnant Californians will have at least
3 four measurable PFASs in their bodies. And due to the
4 high detection frequencies of the other PFASs, most
5 children resulting from these pregnancies will have seven
6 PFASs in their bodies at birth.

7 For the next section, I'll be focusing on the
8 PFASs listed in the middle of the slide, those six, in
9 that order, PFOS, PFOA, PFHxS, PFNA, PFDA, PFUnDA. Those
10 are listed in the mean concentration measured.

11 [SLIDE CHANGE]

12 DINA DOBRACA: So across the PFAS panel, there
13 was no consistent relationship between age and exposure.
14 And this is likely due to our narrow age range in this
15 study and that we have exclusively pre-menopausal female
16 population.

17 In MAMAS 1, we saw lower PFAS levels among those
18 with Medi-Cal indicated on their prenatal screening
19 request. And in MAMAS 2 and 3, we see that same lower
20 level of PFASs for most of the panel except for the PFASs
21 that have the highest mean levels, PFOS, PFOA, PFHxS where
22 there was no association.

23 [SLIDE CHANGE]

24 DINA DOBRACA: A unique feature of this study
25 design was that we had sufficient sample size to estimate

1 PFAS levels by race/ethnicity. So let me orient you to
2 this graphic. The PFAS will be listed on the left. The
3 race/ethnic groups that we sampled will be listed across
4 the top. The first row corresponds to the geometric means
5 measured in MAMAS 1. The second row is MAMAS 2 and 3. A
6 single arrow indicates a higher or a lower geometric mean
7 and a double arrow indicates statistical significance.

8 So for PFOS, MAMAS 1 and MAMAS 2/3, the geometric
9 means were the highest in Vietnamese participants and then
10 Chinese participants. And the geometric means for both
11 Black and Hispanic participants were lower than the other
12 groups with Hispanic participants having the lowest
13 levels. So these are descriptive statistics. So these
14 are not adjusted for other variables, but by the nature of
15 our study design, these -- this sample is restricted on
16 both age and sex.

17 Next row that we have here is PFOA. In MAMAS 1,
18 the highest geometric mean was in the White participants.
19 For MAMAS 2/3, the geometric means among Chinese,
20 Vietnamese, and White participants were significantly
21 higher than other groups. And then levels among both
22 Black and Hispanic participants were significantly lower
23 than other groups.

24 For PFHxS, the mean levels are highest among
25 White participants. In MAMAS 1, levels for Chinese,

1 Black, and Hispanic participants were lower than other
2 groups with Chinese participants being the lowest. In
3 MAMAS 2/3, the levels for both Chinese and Hispanic
4 participants were significantly lower than other groups.

5 PFNA was the highest among Vietnamese
6 participants. In MAMAS 2/3, Chinese participants also had
7 levels higher than other groups. Black and Hispanic
8 participants had levels lower than other groups,
9 significantly so for MAMAS 2/3.

10 For PFDA, the Asian ethnicities had higher mean
11 levels with Vietnamese participants being the highest. In
12 MAMAS 1, among Hispanic participants, they were
13 significantly lower than other groups. In MAMAS 2/3,
14 Black and Hispanic participants were lower than other
15 groups.

16 PFUnDA differences by race/ethnicity follow the
17 same pattern observed for PFDA with Asian ethnicities
18 having high levels, Vietnamese being the highest and lower
19 levels among Black and Hispanic participants.

20 From this slide, that summarizes kind of the
21 legacy PFASs. There's three summary findings. First,
22 each PFAS has different relative levels by race/ethnicity.
23 Second is that our Hispanic participants have the lowest
24 exposures, usually significantly lower across the PFAS
25 analytes. And the third is that when we collapse our

1 Asian subgroups into an overall Asian category, we are
2 masking that we have a highly exposed Vietnamese
3 population across California.

4 So, I just want to highlight, because we heard
5 about the ACE studies earlier today. So these -- ACE was
6 exclusively in the San Francisco Bay Area, but these
7 findings are consistent with what we found in ACE. With
8 ACE 2, which was the Vietnamese, Vietnamese/American study
9 having higher levels in ACE 1, which was the Chinese,
10 Chinese/American study and significantly lower levels of
11 PFHxS in ACE 1 compared to ACE 2. And so these are
12 statewide instead of just in the Bay Area.

13 [SLIDE CHANGE]

14 DINA DOBRACA: And then this is a written summary
15 of the three kind of overall takeaways of the previous of
16 graphic. So next, I'm going to compare or look at PFAS
17 trends.

18 [SLIDE CHANGE]

19 DINA DOBRACA: So nationally, PFOA, PFOS, PFHxS,
20 PFNA have levels that are decreasing. This national data
21 is from females 18 to 49 years old, because in the
22 national surveys, they have not oversampled pregnant
23 individuals during this time period, so we can't get a
24 stable estimate as a comparison group. So this is our
25 best nearest comparison for MAMAS data.

1 [SLIDE CHANGE]

2 DINA DOBRACA: So MAMAS PFAS levels are
3 consistent with the national data, both in rate of
4 decrease and relative levels by race/ethnic group. MAMAS
5 PFOA levels again are consistent with the national data,
6 except for Asian participants. Nationally, Asian and
7 White mean levels are very similar. And in MAMAS 1 and in
8 MAMAS 3, Asian participant have lower exposures than
9 national Asian levels. MAMAS 1 participants had higher
10 levels compared to national data. And then either due to
11 the fact that we are changing regions with each MAMAS
12 study or due to time, our rate of decrease is steeper in
13 MAMAS 2/3 compared to what's seen nationally.

14 And then in PFNA, while levels are decreasing
15 across MAMAS studies, the rate of decrease is not as steep
16 as seen nationally, which again we have a combined effect
17 of time and geography that could be affecting the kind of
18 trend of the MAMAS studies.

19 [SLIDE CHANGE]

20 DINA DOBRACA: For PFDA and PFUnDA nationally,
21 among Asians, levels are decreasing, while there's some
22 evidence that levels are flat for other race/ethnic
23 groups.

24 [SLIDE CHANGE]

25 DINA DOBRACA: For MAMAS, PFDA levels are

1 consistent with national data, both the kind of rate of
2 change and relative levels of the groups. For PFUnDA,
3 MAMAS participants have steady levels across all
4 race/ethnic groups, so we don't see a decreasing level
5 among our Asian participants.

6 [SLIDE CHANGE]

7 DINA DOBRACA: Okay. So I have just focused on
8 the PFASs measured across all the MAMAS studies, the kind
9 of legacy PFASs. Biomonitoring California's DTS[sic]
10 laboratory measured an additional 18 PFASs in MAMAS 2 and
11 19 in MAMAS 3 to try to capture emerging PFASs. So to
12 compare across studies, we've applied the same -- the
13 highest method detection limit for comparison's sake. And
14 a lot of the data on this plot is stacked up at zero
15 percent detect.

16 And the -- just as a reminder, the MAMAS 2/3
17 sampling regions differ by region and time. So I wouldn't
18 draw a -- like a line -- a trend line between the two,
19 because it could be a geography difference that you're
20 seeing in the different levels of detection frequency or
21 it could be a time scale.

22 [SLIDE CHANGE]

23 DINA DOBRACA: So we see a high detection
24 frequency of PFBA. This is a shorter four carbon chain.
25 It's been detected in a majority of MAMAS 2 and 3 samples.

1 And I'll focus on this PFAS more in the next slide. I
2 just wanted to mention that the additional PFASs that the
3 laboratory panel add -- or that were added to the
4 laboratory panel that were detected in low proportion in
5 MAMAS 2 and 3 will continue to be studied by Biomonitoring
6 California, because we're interested in emerging PFASs.

7 [SLIDE CHANGE]

8 DINA DOBRACA: So there is -- NHANES has never
9 measured PFBA in serum, so we are comparing PFBA to other
10 studies to understand if this shorter four carbon PFAS is
11 being used as a substitute for kind of longer PFOS, PFOA,
12 eight-carbon PFASs. MAMAS had one of the higher method
13 detection limits that we found in the literature. Yet,
14 our percent detected for PFBA was among the highest that
15 we'd seen. When we compared the geometric means and
16 medians for studies that had a sufficient detection
17 frequency to calculate a median or geometric mean, MAMAS 3
18 had the highest mean and median values that we found in
19 the literature.

20 When comparing the 95th percentile or maximum
21 percentile reported by these other studies, there are
22 other parts of the country and world where the range of
23 values is higher. But population-wide, it's been most
24 ubiquitous here.

25 [SLIDE CHANGE]

1 DINA DOBRACA: Okay. So next I'm going to be
2 focusing on the persistent organic pollutant findings. So
3 POPs are a class of synthetic chemicals resistant to
4 degradation. The Environmental Chemistry Laboratory
5 measured three panels in the MAMAS samples.

6 First, polychlorinated biphenyls, PCBs. These
7 compounds were banned in the 1970s and widely used in
8 building materials produced before then.

9 Second, we have PBDEs, polybrominated diphenyl
10 ethers commonly added to foam furniture, infant products,
11 electronics, and upholstery. A number of the people in
12 this room contributed to the science that led to the phase
13 out of these products in 2006 and 2013.

14 And third, we have organochlorine pesticides,
15 which were once widely used for agriculture and home pest
16 control. And all of the organochlorine pesticides
17 measured by Biomonitoring California are no longer in use
18 in the United States.

19 So Californians can be exposed directly to these
20 products, if they were -- that were manufactured before
21 the phaseout or if they were produced elsewhere in the
22 world and/or because these chemicals are so persistent,
23 they have spread throughout the environment. And so human
24 exposure can occur through soil, dust, consuming high fat
25 animal products, whether dairy or meat.

1 [SLIDE CHANGE]

2 DINA DOBRACA: And one of our California
3 legislative mandates of Biomonitoring California is to
4 assess the effectiveness of public health efforts and
5 regulatory programs at decreasing exposures of
6 Californians to specific environmental contaminants. So
7 our question for the next few slides is did California's
8 residents to these specific POPs decrease across the MAMAS
9 studies?

10 [SLIDE CHANGE]

11 DINA DOBRACA: So first, a caveat. Again, the
12 POPs subsample can be thought of as a separate cohort of
13 participants. And here are the demographics of that POPs
14 subsample. As a reminder, all MAMAS 1 samples from Asian
15 pregnant individuals were in the PFAS subsample and not in
16 the POPs subsample. Within each study, the race/ethnic
17 groups that were sampled were balanced.

18 [SLIDE CHANGE]

19 DINA DOBRACA: Here, additional demographic
20 information. Medi-Cal insurance is not balanced across
21 the studies and neither is age with a higher proportion of
22 younger pregnancies in MAMAS 1.

23 [SLIDE CHANGE]

24 DINA DOBRACA: So here are -- so knowing that we
25 have these demographic differences in the POPs sample, we

1 still ask is the detection of these chemicals changing, so
2 15 PCBs were measured in MAMAS 1 through 3. And again, to
3 compare across studies, we used a consistent method
4 detection limit. And even though MAMAS' samples are
5 changing by demographics, time, and region, I have
6 highlighted a few of the PCBs, so it's easier to sort of
7 track the percent detect across the studies. And this is
8 an example of a public health and regulatory success
9 story. In 2013 -- 20 -- or, sorry, 2012-2013, most of the
10 children born to MAMAS 1 San Diego, Orange County
11 residents would have had at least one PCB in their body.
12 And in 2016-2017 less than half the children born to these
13 Bay Area coastal southern county residents would have had
14 at least one PCB in their body.

15 [SLIDE CHANGE]

16 DINA DOBRACA: And then we did the same thing for
17 PBDEs. There were nine PBDEs measured in MAMAS 1, 2, and
18 3. We applied the consistent method detection limit. And
19 I have labeled some of PBDEs, so it's easy to track them
20 over the course of the slide. And you can see a decrease
21 in detection frequency, where three-fourths of children
22 have at least 1 PBDE in their body, born to the Orange/San
23 Diego MAMAS 1 participants. And less than one-third of
24 children in 2016-2017, born to the MAMAS 3 participants,
25 would have at least one PBDE in their body.

1 [SLIDE CHANGE]

2 DINA DOBRACA: So there are seven organochlorines
3 that were in the panel and two of them were detected in
4 nearly all samples, meaning every child born to a MAMAS
5 participant had at least one of these two banned
6 pesticides in their bodies. So the continued detection of
7 para,para-DDE, which is a metabolite of DDT, and HCB is of
8 concern to California. These pesticides haven't been used
9 for decades in the United States, though they are still
10 used abroad.

11 [SLIDE CHANGE]

12 DINA DOBRACA: And graphed here are the geometric
13 mean levels measured in MAMAS 1 -- or sorry, measured in
14 MAMAS by race/ethnicity. The levels have decreased for
15 all race/ethnicities with the highest exposure among
16 Hispanic and Asian participants and these trends are
17 consistent with national data.

18 [SLIDE CHANGE]

19 DINA DOBRACA: And then here are the geographic
20 means of HCB levels measured in MAMAS by race/ethnicity.
21 The levels are higher in MAMAS 2 and 3 compared to MAMAS
22 1. As a reminder, this chemical has not been in use in
23 the United States for 40 years. And the exposure pattern
24 appears to be fairly similar across the race/ethnic
25 groups. And these trends are inconsistent with national

1 data. Nationally, levels are flat among females of
2 reproductive age.

3 [SLIDE CHANGE]

4 DINA DOBRACA: So next steps.

5 [SLIDE CHANGE]

6 DINA DOBRACA: The MAMAS 1 study has provided
7 Biomonitoring California an excellent opportunity to
8 confirm the feasibility of leveraging the Genetic Disease
9 Screening Program's collaboration to help us understand
10 environmental chemicals across the state. And as a
11 reminder, our goal is always surveillance work to get a
12 representative sample and to establish trends.

13 [SLIDE CHANGE]

14 DINA DOBRACA: So with the success of MAMAS, we
15 were able to launch STEPS. STEPS has a different study
16 design and sampling frame that allows us to collect a
17 random sampling design from the counties selected, which
18 will give us a representative sample and has -- we're
19 going back to the same counties year over year to collect
20 trends.

21 [SLIDE CHANGE]

22 DINA DOBRACA: Additional, next steps for MAMAS
23 is a few academic researchers have reached out to
24 Biomonitoring California to collaborate with us. They
25 want to understand sources of exposures in the MAMAS

1 sample using geospatial mapping of PFAS exposure sources.
2 A different group wants to work with us to understand
3 additional chemicals in these samples, so potential add-on
4 analyses include short chain PFASs or like a total PFAS,
5 total fluorine method. And we have collaborators working
6 with us to look at the relationship between exposures and
7 health, a potential add-on analysis of biomarkers of
8 immune response as like a health outcome, as well as
9 looking at the associations between PFASs and birth
10 outcomes as the Genetic Disease Screening Program staff
11 have the ability to link the sample to the birth record.

12 So one of the limitations of MAMAS is that per
13 our approvals for the study, we don't have the identity of
14 these participants, we can't return results to these
15 participants, but we do look forward to working with our
16 collaborators so that we're able to create materials and
17 tools that would be a resource for pregnant Californians.
18 And that is one of our next steps.

19 [SLIDE CHANGE]

20 DINA DOBRACA: So I just want to say thank you to
21 our Genetic Disease Screening Program's colleagues for
22 collaborating with us on this work. That was a summary of
23 all the MAMAS findings. If the Panel or the public has
24 any questions about of the analytes, let me and I can pull
25 up more of the data. So thank you.

1 ACTING CHAIR LUDERER: Thank you very much.
2 That's a very interesting presentation.

3 Do we have -- we can start with clarifying
4 questions maybe from the Panel members either online or in
5 person.

6 Tom.

7 PANEL MEMBER MCKONE: Just a question about
8 analytes. Was there any consideration of dioxin-like
9 compounds? It would be interesting to -- I would expect
10 they would have some sort of a downward trend since
11 there's been efforts to reduce the sources of those. I
12 know analytically they're harder to deal with, but I just
13 wondered if they were considered.

14 DINA DOBRACA: I'm just confirming -- June-Soo,
15 that some of the PCBs are dioxin-like PCBs, correct?

16 PANEL MEMBER MCKONE: Yes. Yes, that's true.
17 Some of the P -- some of the PCBs would be dioxin like.

18 DINA DOBRACA: Is there -- I'm not missing any
19 other panel, correct? Those are --

20 (Laughter).

21 DR. JUNE-SOO PARK: We do measure some
22 dioxin-like PCB. Also, the -- some PBDE. Also, the --
23 you know, in terms of the structure dioxin-like, but those
24 are the very low levels, even though we measure, you
25 know -- also the -- our lab has the capability of

1 measuring dioxin itself, you know, the -- Jianwen is the
2 kind of expert measuring dioxin. But when we measure such
3 low levels, we need a lot of volumes of blood, which is --
4 we don't have so -- but always look forward to, you know,
5 those kind of -- the compound is always on our radar,
6 because they are very toxic, more toxic than other
7 homologs -- the isomers -- their isomers, so -- but we do
8 have some dioxin-like PCBs or some PBDEs too.

9 PANEL MEMBER MCKONE: Thank you.

10 DINA DOBRACA: And just to address the sample
11 volume, the samples have about 1 ml of serum. So
12 that's --

13 PANEL MEMBER MCKONE: Yeah. And so just to
14 follow up, if at that level, yeah, you probably couldn't
15 find dioxins unless you had lipid samples. And I know
16 you're not in the business of taking lipid samples.

17 ACTING CHAIR LUDERER: Oliver.

18 PANEL MEMBER FIEHN: All right. I have two
19 questions, I guess. The first one is easy. I think it's
20 easy. So you normalized the level of POPs I think it was
21 on the gram per lipid. That's interesting. When people
22 have -- this is all postprandial, is it fasted, is it --
23 what is the lipid here in this case? Is it total
24 triglycerides? Is it...

25 DINA DOBRACA: Oh. It is a total lipid measure,

1 but you would know.

2 DR. JUNE-SOO PARK: We only measured two major
3 lipid, cholesterol and triglyceride.

4 PANEL MEMBER FIEHN: Total cholesterol?

5 DR. JUNE-SOO PARK: Yeah, the -- that's why we
6 use the Phillips formula to -- you know, the --
7 extrapolate, calculate the total lipid. We don't measure
8 whole panel of lipid unfortunately. We do only --

9 PANEL MEMBER FIEHN: No, I understand that.

10 DR. JUNE-SOO PARK: I'm just thinking about the
11 next question. Okay. So next question is if I look at
12 MAMAS 2 and MAMAS 3 --

13 DINA DOBRACA: Um-hmm.

14 DR. JUNE-SOO PARK: -- you know, you said like,
15 hey, this, and good news, and we all love good news.
16 Things that have -- detection frequency decreased. All
17 right. But did it decrease for things that have been
18 banned 20 years ago, 30 years, 40, 50, long time ago, but
19 now they decrease in frequency between 2015 and 2016 by --
20 sometime by half. I don't understand that.

21 DINA DOBRACA: So we are in different regions.
22 This is the limit of MAMAS.

23 PANEL MEMBER FIEHN: Yeah. Okay. So you said
24 that repeatedly, but --

25 DINA DOBRACA: Yeah.

1 PANEL MEMBER FIEHN: -- you know, so I think like
2 do we -- do we sit here on a statistical fluke or is it --
3 how do we look at this data?

4 DINA DOBRACA: So this data is in line with
5 NHANES data. Let me just --

6 PANEL MEMBER FIEHN: Yeah. Yeah. Yeah. All
7 right.

8 DINA DOBRACA: -- see if I have the -- so one of
9 the limitations of the -- okay. I don't have the NHANES
10 data in -- as back-up slide. So I have -- if you would
11 like to see, I can pull up any of the PBDEs, PCBs, by
12 race/ethnicity to confirm that like within race/ethnic
13 group across these regions levels are decreasing. One of
14 the limitations of the study as it was designed, because I
15 kind of think of MAMAS as an extended pilot, is we were
16 testing can we use archived samples? Is there sufficient
17 volume? And that was MAMAS 1. And then MAMAS 2/3 was can
18 we use non-biobanked samples? Can we go outside of the
19 geographic region and collect throughout the state to try
20 to understand something about exposures throughout the
21 state?

22 And so that was the purpose of MAMAS 2 and 3
23 separately. And so it makes it -- it makes it a little
24 difficult, because I have changing demography, changing
25 time, and changing region, when I'm looking across the

1 studies. The benefit to STEPS, which have samples
2 collected already, is that we're going back to the same
3 county using a random sampling scheme. And so then we
4 know that the only thing that's changing is time.

5 PANEL MEMBER FIEHN: Yeah, I think that --

6 DINA DOBRACA: This one -- this one is a bit
7 trickier. So the best I could do is I can pull up the
8 race/ethnic specified data and just say like here.

9 PANEL MEMBER FIEHN: Okay. No, I understand.
10 So, you know, because you started with like here is some
11 good news.

12 DINA DOBRACA: Yeah.

13 PANEL MEMBER FIEHN: You know like yay.

14 DINA DOBRACA: I mean, it's basically the PBDE
15 levels get so low that in our data and NHANES data we
16 can't even calculate medians --

17 PANEL MEMBER FIEHN: Okay.

18 DINA DOBRACA: -- by the time they we get to the
19 more recent time frames.

20 PANEL MEMBER FIEHN: Thank you.

21 ACTING CHAIR LUDERER: All right. Any other
22 questions from the Panel members, from the public?

23 Okay.

24 DINA DOBRACA: Can I ask the Panel a question?

25 ACTING CHAIR LUDERER: Please.

1 DINA DOBRACA: So our four-carbon PFBA I'm very
2 intrigued by. I tried to find a lot of comparison
3 studies. It seems like another four-carbon PFBS is more
4 likely to be measured in other studies. I think I tried
5 to look across the like ECHO cohort, and I think they --
6 in three other cohorts, they measured PFBS, that I
7 couldn't find that they had measured PFBA.

8 So if the Panel has any insight? Let me pull up
9 the slide. I think it's like -- no. No -- as to if
10 they've -- if they've heard of PFBA or PFBS being used as
11 a substitute kind of in this time frame. Here's the data
12 compared to the other studies. What I found really
13 interesting is that Italy study is a comparison of
14 contaminated drinking water and adults living outside of
15 the contaminated drinking water zone and they had higher
16 detects outside the drinking water zone. That
17 Minnesota -- that's what MDH is Minnesota East Metro
18 Study. That pilot in 2008, known contaminated drinking
19 water site, they went back to that same population twice.
20 And in 2014, they sent me an email with the data, so
21 that's why it's not on this slide.

22 In 2014, they included both long time residents
23 and people who had moved into the neighborhood after the
24 water system had filtration. And the detection frequency
25 was higher among new residents versus old residents. So

1 my working theory is it's not water.

2 And then that last study I was very intrigued by.
3 They went back to the same policemen six months later and
4 had very similar levels. And PFBA has a half-life in the
5 human body of like days, and so that's six months later.
6 And so if anyone has -- on the Panel has any insight as to
7 this one or another four-carbon PFAS, I'd be very
8 interested to know.

9 ACTING CHAIR LUDERER: Amy, I see you have your
10 hand raised.

11 PANEL MEMBER PADULA: Yes. So I did -- I have
12 worked on the ECHO data, the PFOS data and ECHO, and also
13 hadn't come across that one. I just went back to look and
14 I can look deeper, because sometimes if it's not detected
15 at a certain level across all the studies, they would drop
16 it. But I can go back, because I have the raw data, and
17 I'll dig deeper for you to look for that.

18 I -- we also did a study in Hamburg, Germany and
19 we also didn't find that that was highly detected, even
20 though we found nine of the 18 PFAS that we had looked for
21 were detected in almost everyone. So kind of a -- and
22 it's also I think -- a relatively high seafood eating
23 population. So, yeah, I'm also curious about that one
24 that's stuck out in your data, because I haven't run
25 across it so far.

1 I had another kind of minor point. It seems like
2 in some cases you were -- when you were looking at the
3 race -- by race/ethnicity, it was compared to kind of
4 everyone -- each race/ethnic group compared to everyone
5 else and sometimes it was compared to Whites. I do think
6 that it is important to do both, because I think depending
7 on kind of who is high and who is low, it can sometimes be
8 somewhat misleading. So depending on how -- what the
9 distribution is of race/ethnicity in the study population,
10 so I think it is kind of good practice to also compare to
11 Whites as kind of the most privileged group in many cases,
12 although even though, in this case, didn't have the lowest
13 levels. Just to have a -- or sometimes maybe to always
14 compare to the group that has the highest numbers just to
15 be able to have an equal comparison as opposed to everyone
16 else, because it could -- I don't know. It sometimes can
17 be misleading. Although, it seems like the findings you
18 had were very consistent. But I just wanted to make that
19 comment.

20 ACTING CHAIR LUDERER: I had a question about,
21 you know, the national trends that you were showing and
22 where it was, you know, notable that for PFHxS, it was --
23 the pattern was quite different where White -- you know,
24 the White population had the higher levels. And do we
25 have any information kind of about, you know, uses that

1 would explain the difference for that compared to the
2 other ones.

3 DINA DOBRACA: So at the prior SGP meeting, Toki,
4 my co-worker, presented that PFHxS was the analyte where
5 she found the significant relationship between water
6 levels and serum levels. PFHxS we assume is exclusively
7 from industrial sources. So whether you're living near an
8 airport, you're living near another industrial use site.
9 But yeah, both in national data and in our data, PFHxS
10 highest among white individuals.

11 ACTING CHAIR LUDERER: Thank you. Let's see.
12 Any -- do we have anything -- any public comments?

13 STEPHANIE JARMUL: Yes. We have Ken. Go ahead
14 an unmute yourself, Ken.

15 KEN SZUTU: Thank you. Several things. One is,
16 for example, the comments made earlier is about like if it
17 was in an industrial area or close to an airport, then the
18 impact is higher. But from the region which you are doing
19 your experiment is -- can we detect on that level? That's
20 the first question.

21 The second one is I know, for example, in the
22 major agricultural area, like Central Valley and things
23 like that, we use a lot of pesticide and things like that.
24 So on top of like racial difference, have you looked into,
25 for example, regional difference? Because I think some of

1 the region which you are doing your study is very wide, so
2 I'm thinking about more like agricultural and things like
3 that. So these are the two questions I have. And also
4 the third one is sometime I notice especially, for
5 example, in Vallejo, we have a very -- we have like 25
6 percent Black, 25 percent White, 25 percent Asian, and 25
7 percent Hispanic. So a lot of time is the impact
8 is socioeconomic level -- I mean, it depends on who live
9 in certain area, because of the cost of living and all
10 that, or within a region, is there difference between
11 ethnic background?

12 Thank you.

13 DINA DOBRACA: So the first question was about
14 the geospatial understanding of sources for our data. So
15 we -- that's one of our future next steps. We have a
16 potential collaboration with individuals out of UC
17 Berkeley who have been working on creating maps to
18 understand sources of exposure. We have to independently
19 go through human subjects approval, because this is
20 address-based data, so it's identifiable in a way, so that
21 we are able to collaborate and so they can overlay their
22 sources of exposure data with the addresses of the
23 pregnant individuals. So that's a future next step. We
24 hope to be able to do that kind of analysis.

25 And then the second question was about regional

1 differences in our data. So this data, the sampling frame
2 is the prenatal screening data. It's the prenatal
3 screening test form. And by the way that MAMAS 1, 2, and
4 3 sampled, the kind of regions as defined are not known
5 ways to cut up the state of California. Like you
6 typically don't sample Alameda and Contra Costa as like a
7 region alone. You maybe sample the Bay Area as a region.
8 So I would love to recut the data to sort of match either
9 the CARE -- the region that were defined for the CARE
10 study for the CARE report. There's a couple limitations.
11 One is that's a re-ask that I have put in to our
12 collaborators with the Genetic Disease Screening Program,
13 because it's a finer geographic zone than was in the
14 original cut of the data.

15 The data is able to be linked to the birth
16 record. However, not everybody who goes through prenatal
17 screening ends up with a life birth in California. So
18 there is a loss and there is a loss due to pregnancy loss.
19 There's a loss due to they left the state of California
20 between when they were pregnant and when they gave birth,
21 so they're on a birth record of a different state or
22 there's just a bad matching algorithm. And so due to poor
23 data quality, they can't confirm that that sample was
24 meant for that birth record. And unfortunately, our match
25 rate is 75 percent. And so that would be a huge loss of

1 data if I had to go all the way to the address for these
2 participants. I would lose 25 percent of my data.

3 So I'm hoping that we are able to get a finer
4 geography cut from our collaborators so we could get
5 county level data on each of these participants and sort
6 of redraw these regional lines to do the regional analysis
7 that you speak of. And then after I have kind of the
8 redrawn regional lines, yes, it would be very interesting
9 to look at it by SES. There's a couple different ways we
10 could look at it.

11 Again, the only variable we have from the test
12 request form is Medi-Cal insurance, yes/no, which is
13 pretty imperfect variable. I would prefer not to use that
14 one. We could use the address data to get a measure of
15 neighborhood socioeconomic status and maybe that would be
16 our best approximate. If we linked to the birth record to
17 be able to get information on the education and income
18 level of the person giving birth, then we have to lose 25
19 percent of our data, which I would prefer not to do. So
20 those are the three ways we could look at SES within
21 region.

22 KEN SZUTU: Thank you very much.

23 ACTING CHAIR LUDERER: Thank you.

24 Do we have any other questions or comments from
25 Panel members or public?

1 No, not seeing any.

2 All right. Well, thank you very much. That was
3 a really interesting presentation, as were all the
4 presentations today.

5 And so we have an open public comment period now.
6 So, do we have any requests for that?

7 STEPHANIE JARMUL: Nothing online at the moment,
8 but we could give it another minute.

9 ACTING CHAIR LUDERER: Okay.

10 So I could just remind everyone that webinar
11 attendees can submit written comments and questions via
12 the Q&A function of the Zoom webinar or by email at
13 biomonitoring@oehha.ca.gov, and we can read them aloud
14 here. And if you wish to speak, you can alert us using
15 the raise hand feature on Zoom webinar and I can call on
16 you at the appropriate time.

17 If you're attending in person, you can please
18 come to the front or raise your hand and I will call on
19 you also. For the ben -- and for the benefit of the
20 transcriber, please identify yourself if you wish to make
21 a comment.

22 Anything coming in?

23 No.

24 Okay. So I know we're supposed to have 15
25 minutes. Is that -- do we have to wait 15 minutes?

1 No.

2 All right. Then we can move on to our -- did you
3 want to say something, Oliver?

4 PANEL MEMBER FIEHN: No. There was a call in
5 from Amy. It just disappeared. Amy, do you want to show
6 it again or repeat or just say what you wrote -- who you
7 had put in the comment.

8 PANEL MEMBER PADULA: Oh, I just -- I just wanted
9 to update that I just had looked it up and only two out of
10 150 people that we had tested for PFBA had detectable
11 levels. So not much information there, so, but we'll keep
12 looking.

13 ACTING CHAIR LUDERER: Which -- what was the year
14 of that, do you know?

15 PANEL MEMBER PADULA: Actually, yes. It was a
16 range of years. They were pregnant people between, let's
17 see, maybe 2011 through 2018.

18 ACTING CHAIR LUDERER: Thanks. So any other
19 comments, questions, anyone thought of at the last minute?

20 All right. Then I'll go ahead to our wrap-up.
21 So I just wanted to announce that there will be a
22 transcript of this meeting posted on the Biomonitoring
23 California website when it's available and also announce
24 that the next SGP meeting will take place on November 7th,
25 2024 from 1 pm to 4 pm and that one will be in Oakland.

1 Information regarding options for attending the meeting
2 will be made available closer to that November meeting
3 date.

4 And I wanted to thank the Panel, all the
5 presenters, the audience, and adjourn the meeting. It was
6 a great meeting.

7 Thank you, everyone.

8 (Thereupon the California Environmental
9 Contaminant Biomonitoring Program, Scientific
10 Guidance Panel meeting adjourned at 3:44 p.m.)
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I, JAMES F. PETERS, a Certified Shorthand Reporter of the State of California, do hereby certify:

That I am a disinterested person herein; that the foregoing California Environmental Contaminant Biomonitoring Program Scientific Guidance Panel meeting was reported in shorthand by me, James F. Peters, a Certified Shorthand Reporter of the State of California, and thereafter transcribed under my direction, by computer-assisted transcription.

I further certify that I am not of counsel or attorney for any of the parties to said meeting nor in any way interested in the outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 30th day of July, 2024.



JAMES F. PETERS, CSR
Certified Shorthand Reporter
License No. 10063