

1 CALIFORNIA ENVIRONMENTAL CONTAMINANT
2 BIOMONITORING PROGRAM
3 (BIOMONITORING CALIFORNIA)
4 SCIENTIFIC GUIDANCE PANEL MEETING
5 CONVENED VIA HYBRID FORMAT BY:
6 OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT
7 CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY
8 STATE OF CALIFORNIA

9
10 CALEPA BUILDING
11 KLAMATH TRAINING ROOM
12 2ND FLOOR
13 1001 I STREET
14 SACRAMENTO, CALIFORNIA

15
16
17 WEDNESDAY, AUGUST 27, 2025
18 10:00 A.M.

19
20
21
22
23
24 REPORTED BY: BRANDION IORLANO, CA CER NO. 4221

iDepo Reporters

APPEARANCES

Panel members:

Lara Cushing, PhD, MPH, Acting Chair

Timur S. Durrani, MD, MPH, MBA

Oliver Fiehn, PhD (Remote)

Ulrike Luderer, MD, PhD

Thomas McKone, PhD

Amy Padula, PhD, MSc

Penelope (Jenny) Quintana, PhD, MPH

OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT:

Kristina (Kris) Thayer, PhD, Director

Stephanie Jarmul, MPH, Section Chief, Safer
Alternatives Assessment and Biomonitoring Section,
Reproductive and Cancer Hazard Assessment Branch

Rebecca Belloso, MPH, Health Program Specialist I,
Safer Alternatives Assessment and Biomonitoring
Section, Reproductive and Cancer Hazard Assessment
Branch

Aalekhya Reddam, PhD, Research Scientist III, Safer
Alternatives Assessment and biomonitoring Section,
Reproductive and Cancer Hazard Assessment Branch

Martha Sandy, PhD, MPH, Chief, Reproductive and
Cancer Hazard Assessment Branch

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Dina Dobraca, MPH, Research Scientist III,
Environmental Health Investigations Branch

Nerissa Wu, PhD, MPH, Supervisor, Exposure Assessment
Section, Environmental Health
Investigations Branch

Toki Fillman, MS, Research Scientist, Environmental
Health Investigations Branch Branch

1 Jeff Wagner, PhD, Chief, Environmental Health
Laboratory Branch

2 Jianwen She, PhD, Chief, Biochemistry Section,
3 Environmental Health Laboratory Branch

4 Susan Hurley, MPH, Research Scientist III, Exposure
Surveillance and Epidemiology Unit, Environmental
5 Health Investigations Branch

6
7 Appearances (continued)

8 Kathleen Attfield, ScD, Supervisor, Exposure
Surveillance and Epidemiology Unit, Environmental
9 Health Investigations Branch

10 GUEST SPEAKERS:

11 Kim Anderson, PhD, Professor, Department of
Environmental and Molecular Toxicology, Oregon State
12 University

13 Heather Stapleton, PhD, MS, Professor, Division of
Environmental Natural Science and Department of Civil
14 and Environmental Engineering, Duke University

15 Also Present

16 Asa Bradman, PhD, University of California, Merced

17 Ahimsa Porter Sumchai, MD, Hunters Point Community
18 Biomonitoring Program

19

20

21

22

23

24

25

INDEX

PAGE

Welcome

Kris Thayer, PhD, Director, Office Of
Environmental Health Hazard
Assessment (OEHHA) 1

Overview of the Meeting

Lara Cushing, PhD, MPH, Acting Chair,
Scientific Guidance Panel (SGP) 9

Program Update

Presentation: Nerissa Wu, PhD, MPH, Chief,
Exposure Assessment Section, Environmental
Health Investigations Branch 11
Panel Discussion and Input 25

Results from the Biomonitoring component of the San Joaquin Valley Pollution and Health Environmental Research Study (BiomSPHERE)

Presentation: Aalekhya Reddam, PhD,
Research Scientist III, OEHHA 39
Panel Discussion and Input 58

Science You Can Wear: The Silicone

Wristband Journey from Bench to Biomonitoring

Presentation: Kim Anderson, PhD, Professor,
Department of Environmental and Molecular
Toxicology,
Oregon State University 80
Panel and Audience Questions 102

Using Silicone Wristbands to assess the Personal Chemical Exposome:

Strengths and Limitations

Presentation: Heather Stapleton, PhD, MS,
Professor, Division of Environmental Natural
Science and Department of Civil and
Environmental Engineering,
Duke University 113
Panel and Audience Questions 144

Discussion: Use of Silicone Wristbands to

Complement Biomonitoring Studies 157

Open Public Comment Period 204

Wrap-up and Adjournment 206

Reporter's Certificate 208

1 PROCEEDINGS

2 DIRECTOR THAYER: Thank you so much. And
3 thank you to the Panel and to the audience for
4 joining us today at this August meeting of the
5 Scientific Guidance Panel for Biomonitoring
6 California, a program more formally known as
7 California Environmental Contaminant Biomonitoring
8 Program.

9 Yeah. Is this better?

10 Okay. So I have a few remarks. I'll
11 start off by introducing myself since I am new-ish to
12 OEHHA. And then we'll recap some of the major
13 discussion points from the March meeting. And then
14 we'll move into introducing the Panel member and
15 including introducing a new member. And then I'll
16 pass it off to Lara Cushing, who has graciously
17 agreed to be our acting Chair for this meeting. So
18 my name is Kris Thayer. I started at OEHHA in middle
19 of May of this year. Before that, I worked at the
20 U.S. Environmental Protection Agency in the Office
21 of Research and Development.

22 I headed a program called the Chemical
23 and Pollutant Assessment Division. This was a
24 program that did, if you've heard about integrated
25 risk information system or IRIS assessments,

1 provisional peer review, toxicity value. So we did
2 chemical assessments. I was there for eight years.
3 And then prior to that I was 13 years at NIEHS
4 working in a program that was then called the
5 Division of the National Toxicology Program. I used
6 to head up their assessment groups, but I've always
7 had an interest in biomonitoring.

8 So when there were opportunities, I
9 engaged in that area, including doing some
10 biomonitoring work to explore exposure to cashiers to
11 BPA and BPS and related compounds and receipt paper.
12 At the time there was a lot of interest in organotins
13 as an endocrine disruptor that from animal studies
14 looked like it had a pretty potent adipogenic effect.
15 And we were interested in exploring the extent of
16 exposure in pregnant women. So there was some
17 methods development and then some biomonitoring on
18 organotins.

19 And then I also kind of worked on trying
20 to partner existing academic cohort studies. The
21 samples collected with the analytical capability of
22 CDC to see we can get more out of those samples to
23 look at things like diabetes, focusing really on some
24 childhood exposures. So it's great to be back in a
25 program that has an explicit Biomonitoring Program.

1 So it's great to be here. In terms of the last Panel
2 meeting, it was March 25th, 2025. This summary and
3 this grant transcripts are on our website at
4 biomonitoring.ca.gov. Some of the high points. And
5 so there were updates from the Biomonitoring Program.

6 There were also presentations on per- and
7 polyfluorinated alkyl substances, or PFAS, in
8 drinking water. So some of the key discussion
9 topics. There was presentation about Biomonitoring
10 California analysis of the CARE, California Regional
11 Exposure Study, in the context of looking at
12 differences in metals that were measured in urine and
13 blood, and participants who were living near wildfire
14 affected areas. There was also the topic of looking
15 at data from STEPS, Studying Trends and Exposure in
16 Prenatal Samples, again, in the context of
17 populations that might have been near these wildfire
18 impacted areas.

19 There was discussion about the importance
20 of evaluating Biomonitoring Program's report that
21 results reports that were delivered to populations
22 that had participated in the studies. Especially in
23 the context of thinking about the messaging with a
24 culturally and language diverse audience.

25 The Panel also discussed the analytical

1 findings of PFAS in drinking water. Some of the
2 topics included suggestions for additional analysis
3 of legacy PFAS and diet and water in California how
4 to account for the impact of socioeconomic status
5 when looking at PFAS levels, California activities
6 compared to other states and federal activities with
7 respect to regulating PFAS, and then also the
8 widespread presence of ultra-short chain PFAS, such
9 as trifluoroacetic acid, that have been detected in
10 wells from the Water Board. So again, the summary
11 and transcript of that meeting is posted on the March
12 meeting on biomonitoring.ca.gov.

13 So now again want to thank Lara Cushing,
14 who will be acting as our chair today. And then
15 before inviting other Panel members to introduce
16 themselves, I'd like to announce Timur Durrani as he
17 was appointed in June to be a new member of the SGP
18 by the Speaker of the Assembly.

19 So Dr. Timur Durrani is Professor of
20 Clinical Medicine at University of California in San
21 Francisco, serving as Associate Chief of Occupational
22 and Environmental and Climate Medicine. Board
23 certified in Family Medicine, Preventive Medicine,
24 Occupational Medicine and Medical Toxicology.
25 Timur's clinical practice includes providing

1 outpatient consulting for medical toxicology and
2 caring for acutely poisoned patients.

3 He's director of the Western States
4 Pediatric Environmental Health Specialty Unit and is
5 faculty of record for Occupational Toxicology at
6 UCSF, teaches medical, nursing and pharmacy students,
7 as well as a variety of graduate students,
8 volunteered his medical expertise internationally and
9 has served in the U.S. Army in Afghanistan. So now
10 I will administer the Oath of Office and ask you to
11 raise your right hand and repeat after me. I, Timur
12 Durrani, do solemnly swear.

13 PANEL MEMBER DURRANI: I, Timur Durrani,
14 do solemnly swear.

15 DIRECTOR THAYER: That I will support and
16 defend the Constitution of the United States.

17 PANEL MEMBER DURRANI: That I will
18 support and defend the Constitution of the United
19 States.

20 DIRECTOR THAYER: And the Constitution of
21 the State of California.

22 PANEL MEMBER DURRANI: And the
23 Constitution of the State of California.

24 DIRECTOR THAYER: Against all enemies
25 foreign and domestic.

1 PANEL MEMBER DURRANI: Against all
2 enemies foreign and domestic.

3 DIRECTOR THAYER: That I will bear true
4 faith and allegiance.

5 PANEL MEMBER DURRANI: That I will bear
6 true faith and allegiance.

7 DIRECTOR THAYER: To the Constitution of
8 the United States.

9 PANEL MEMBER DURRANI: To the
10 Constitution of the United States.

11 DIRECTOR THAYER: And the Constitution of
12 the State of California.

13 PANEL MEMBER DURRANI: And the
14 Constitution of the State of California.

15 DIRECTOR THAYER: That I take this
16 obligation freely.

17 PANEL MEMBER DURRANI: That I take this
18 obligation freely.

19 DIRECTOR THAYER: Without any mental
20 reservation or purpose of evasion.

21 PANEL MEMBER DURRANI: Without any mental
22 reservation or purpose of evasion.

23 DIRECTOR THAYER: And that I will well
24 and faithfully discharge.

25 PANEL MEMBER DURRANI: And that I will

1 well and faithfully discharge.

2 DIRECTOR THAYER: The duties upon which I
3 am about to enter.

4 PANEL MEMBER DURRANI: The duties upon
5 which I am about to enter.

6 DIRECTOR THAYER: Thank you.
7 Congratulations and welcome to the Panel. We're
8 delighted to have you.

9 PANEL MEMBER DURRANI: Thanks.

10 DIRECTOR THAYER: Okay. I will now
11 invite the Panel members to introduce themselves.
12 We'll start with Panel member Oliver Fiehn, UC Davis
13 who is attending remotely, although I guess I've
14 actually already introduced Oliver.

15 PANEL MEMBER FIEHN: Yes. So I'm Oliver
16 Fiehn. I'm analytical chemist and toxicologist for
17 many, many years. And I am at UC Davis.

18 DIRECTOR THAYER: Thank you. And then
19 we'll start at the table starting with Tom.

20 PANEL MEMBER MCKONE: Hi. I'm Tom
21 McKone. I am a professor emeritus of Environmental
22 Health Sciences at the University of California
23 Berkeley School of Public Health. I'm also a retired
24 affiliate with the Lawrence Berkeley National
25 Laboratory.

1 DIRECTOR THAYER: Ulrike.

2 PANEL MEMBER LUDERER: Hello, I'm Ulrike
3 Luderer. I'm a professor in the Department of
4 Environmental and Occupational Health at UC Irvine,
5 and director of the Center for Occupational
6 Environmental Health. I'm an occupational medicine
7 physician and also my research is in the area mainly
8 of reproductive toxicology.

9 PANEL MEMBER QUINTANA: Hi everybody. I
10 am Penelope Quintana, nickname Jenny, and I'm a
11 professor of environmental health at the School of
12 Public Health at San Diego State University.

13 ACTING CHAIR CUSHING: Good morning.
14 Lara Cushing, Associate Professor of Environmental
15 Health Sciences at the University of California Los
16 Angeles.

17 PANEL MEMBER DURRANI: I'm Tamir. You
18 all just met me.

19 DIRECTOR THAYER: Nice to meet you.

20 PANEL MEMBER PADULA: I am Amy Padula,
21 associate professor of Obstetrics, Gynecology and
22 Reproductive Sciences at the University of California
23 San Francisco.

24 DIRECTOR THAYER: Thank you. Thank you
25 again and welcome. Okay, with that, I'll turn it

1 over to Lara.

2 ACTING CHAIR CUSHING: Thank you, Kris.
3 So I'll be acting as chair for this meeting and
4 wanted to start by reminding Panel members to please
5 comply as usual with Bagley-Keene Open Meeting
6 requirements, all discussions and deliberations of
7 the Panel about the subject matters at issue today
8 need to be conducted during the meeting, not on
9 breaks or with individual members of the Panel on or
10 offline, including via phone, e-mail, chats, or text
11 message. How's my volume? Is it too much? Okay.

12 All right. Panel members who are
13 attending remotely must physically appear on camera
14 during the open portion of the meeting. If you're
15 unable to keep your camera on during the meeting
16 because it's technically impractical, please make an
17 announcement when you turn your camera off.
18 Additionally, if someone older than 18 is in the room
19 with Panelists who are attending remotely, you must
20 disclose the presence of that person and their
21 general relationship to you.

22 Okay. So we'll begin with an update on
23 program activities including results from the
24 BiomSPHERE study. And then in the afternoon we will
25 have presentations from two guests on silicone

1 wristbands as an exposure assessment tool. And we
2 will have a fair amount of time for discussion on the
3 use of silicone wristbands as a way to complement
4 biomonitoring studies. There will be time for
5 questions from the Panel and the audience after each
6 presentation. If SGP Panel members wish to speak or
7 ask a question, please raise your hand. I'll call on
8 you at the appropriate time and then you can ask your
9 question or provide your comment.

10 If online webinar attendees have
11 questions or comments during the question periods
12 after each talk, you can -- you can submit them via
13 the Q and A feature of the Zoom webinar or by e-mail
14 to biomonitoring@oehha.ca.gov. We will not use the
15 chat function during this meeting. So put your
16 questions in the Q and A -- please keep your comments
17 brief and focus on the items under discussion.
18 Relevant comments will be read aloud and paraphrased
19 when necessary.

20 Oliver and other online attendees, if you
21 wish to speak during the public comment periods and
22 discussion sessions, please use the raise hand
23 feature in Zoom and Rebecca will call on you at the
24 appropriate time. If you are attending in person and
25 wish to comment during the public comment periods and

1 discussion sessions, please come to the front to
2 raise your hand and I'll call on you at the
3 appropriate time.

4 For the benefit of the transcriber,
5 please clearly identify yourself before providing
6 comment and write your name and affiliation on the
7 sign-in sheet at the back of the room. At the end of
8 the meeting, there will be time for an open public
9 comment. So with that, I'd like to first introduce
10 Nerissa Wu, who leads the Exposure Assessment Section
11 in the Environmental Health Investigations Branch at
12 the California Department of Public Health and is the
13 overall Lead for BioMonitor in California. Nerissa
14 will provide an update on current Program activities.

15 DR. NERISSA WU: Thank you, Lara, and
16 welcome to all of our Panelists. Special welcome to
17 our new attendees and Panelists. It's great to have
18 your expertise added to our group. I will be giving
19 a Program update and I believe there's a little bit
20 of a lag here. How long is the lag. Should I keep
21 -- should I keep clicking? Okay, thanks. I'm going
22 to be touching on different components of the
23 Program, including our surveillance and
24 community-focused studies, the laboratory work that's
25 been going -- that's been done in this period, and

1 outreach and communication activities.

2 So let me talk about where we are with
3 various surveillance studies, including CARE, STEPS,
4 Measuring Analytes in Material Archive Samples,
5 MAMAS, and just a few words about our future
6 surveillance plans. So we have presented in recent
7 meetings on CARE, particularly PFAS and drinking
8 water and food as, as we heard from our summary.
9 Emily Pennoyer, who just presented at our last
10 meeting on this -- these associations has just
11 published her manuscript in Environmental Science and
12 Technology and Toki Fillman who also presented her
13 work on CARE participants and drinking water
14 associations has just had her manuscript accepted at
15 the Exposure Science and Environmental Epi Journal.
16 So that will be coming out in the next few weeks and
17 we're very excited about that.

18 (Inaudible) oh, there we go. We now also
19 have additional data for speciated arsenic and
20 phenols for CARE-LA. So initially in 2018 only a
21 subset of samples collected were analyzed for
22 speciated arsenic and phenols. But the Environmental
23 Health Lab has provided us with results for the
24 remaining samples. So we have gotten the results
25 returned to participants. You can see our staff

1 packing up those packets right there. And we've
2 weighted the data to the underlying population and
3 that data should be up on the web in the next week or
4 so. And we are diving into the data. So why are we
5 doing this? Well, arsenic is a chemical of concern,
6 of course, and in both CARE-LA and CARE Region 2, the
7 numbers for total arsenic were found to be higher
8 than the national numbers.

9 We know that organic and inorganic
10 arsenic are generally coming from different exposure
11 sources with organic arsenic, primarily coming from
12 seafood and inorganic arsenic coming from
13 contaminated groundwater, industrial processes,
14 pesticides, rice, and other sources. And inorganic
15 arsenic is more of a concern with regard to health
16 impacts. Through our Program's protocol, we've
17 historically identified participants for individual
18 follow-up who have a total arsenic level that hits a
19 certain threshold, these Levels of Concern threshold.
20 We then speciate the arsenic for those participants
21 only so that we can compare their inorganic levels to
22 our level of concern and then work with the
23 participants who meet that threshold to identify
24 exposure sources and recommend ways to reduce
25 exposure.

1 So for that subgroup of people with the
2 elevated arsenic levels, we have a lot of data on
3 their inorganic levels and also the ratio between
4 inorganic and organic arsenic. But it's not data
5 that we can extrapolate to the general population
6 because it's an unusual group. So we really wanted
7 population level data to help us understand what the
8 impacts of arsenic exposure are on the general
9 population and to help us identify if there are
10 populations that are disproportionately impacted. We
11 also hope that this data will be helpful information
12 for the Water Boards as they investigate
13 technological and economic feasibility of lowering
14 the MCLs.

15 So as part of CARE-LA, we measured
16 urinary metals in 428 participants, including total
17 arsenic. Of those, 106 met the threshold to have
18 their arsenic speciated, and those results went back
19 to participants in 2019. So round two, we looked at
20 the remaining 322 samples, excluding 14 participants
21 who did not consent to have additional analyses run.
22 So that gives us 414 participants and only 412 are
23 included up here because two of those didn't have a
24 detectable creatinine. So their creatinine adjusted
25 data couldn't be included.

1 Of the many arsenic species, our method
2 quantifies six, so Arsenic (III) and Arsenic(V), MMA,
3 DMA, arsenobetaine and arsenocholine. And it's those
4 first four species that are summed as the inorganic
5 related species. And I just want to point out that
6 MMA and dimethyl -- and DMA are summed with the
7 inorganic related species because we conservatively
8 assume that they're biomarkers of exposure to
9 inorganic arsenic.

10 So this table presents the weighted
11 detection frequencies and geometric means both for
12 individual species and the sums. And then we compare
13 these statistics to the national numbers from the
14 17-18 NHANES cycle. And just a couple things to note
15 on this table, our lab's limits of detection, our
16 LODs, are lower than the NHANES LOD. So first of
17 all, kudos to the lab. It's really great to be able
18 to have that low LOD. So we have really a nice
19 complete data set to look at the population. We've
20 censored the data based on the NHANES LOD, so we can
21 compare between the populations. And you can see
22 that Los Angeles had higher detection frequencies for
23 all of the species and the sums of those species
24 compared to the national numbers.

25 We've also compared the geometric means,

1 and both for the sum of inorganic related species and
2 for DMA individually, Los Angeles had statistically
3 higher geometric means compared with those national
4 numbers. There have been studies in the past, both
5 in California and the U.S., that have shown a
6 sociodemographic and geographic inequity in drinking
7 water, arsenic concentrations and MCL violations. So
8 we'll be looking at demographic patterns in our data.
9 We'll also be using our questionnaire data to look at
10 potential exposure sources. And just a reminder, in
11 our questionnaire to CARE participants, we asked
12 about diet, drinking, water source, occupation,
13 hobbies, smoking habits, et cetera.

14 We're also interested in identifying
15 opportunities for health education or intervention to
16 reduce exposures. And we're also really interested
17 in identifying partners, invested parties, who might
18 want to work with us on both the work we're doing and
19 also messaging it out. So we look forward to hearing
20 input from this group with respect to recommended
21 next steps for analyses, but also partners we might
22 reach out to. Also, we will be getting data from
23 CARE-2 speciated arsenic later this year. So we'll
24 have more power for these analyses.

25 For phenols, briefly, we've been

1 measuring phenols in Biomonitoring California studies
2 since 2010, and our method does include Bisphenol A
3 and two of the analogs, which are used as
4 substitutes, Benzophenone-3, three or 4 parabens,
5 which are used as preservatives, and triclosan and
6 triclocarban, which historically have been used in
7 antibacterial soaps. And these are all of a concern
8 because of their endocrine-disrupting properties. So
9 in CARE-LA, we had 428, again starting with that, but
10 we were only able to measure phenols in 60
11 participants initially. And we wanted to analyze all
12 the samples again so that we could have population
13 data. And we were able to analyze 346 additional
14 samples for a total of 406.

15 So this table presents weighted detection
16 frequencies and geometric means for CARE-LA. Four
17 analytes had detection frequencies over 75 percent.
18 So Benzophenone-3, BPA, BPS and methyl paraben were
19 all in a majority of participants. Both of the
20 antibacterial agents, triclocarban and triclosan, had
21 very low detection frequencies, 38 and 16 percent.
22 Maybe not surprising, both were banned from soaps in
23 2016. And these are samples collected in 2018. We
24 could not finalize data for butylparaben in round
25 two. And so we did not have enough results and it

1 wasn't representative sampling, so we dropped
2 butylparaben, unfortunately from this weighted
3 sample.

4 The LODs, the limits of detection, were
5 different between EHL and NHANES. So -- and some
6 were higher for our labs, some were higher for
7 NHANES. So we censored the data to whichever LOD was
8 higher so that we can compare between these
9 populations. And detection frequencies were
10 generally lower in Los Angeles compared to national
11 numbers with the exceptions of Benzophenone-3, that
12 one exception.

13 In a comparison of geometric means
14 between Los Angeles and national numbers,
15 Benzophenone-3 was significantly higher in Los
16 Angeles, as was bisphenol S, and then methyl paraben
17 and BPA were significantly lower. So, you know,
18 still thinking about what the significance and what
19 source might be of these differences. We did see
20 elevated BP3 levels in the FOX study. And this is a
21 UV stabilizer used as an ingredient in sunscreens.
22 And at the time we hypothesized that this was due to,
23 it was in a southern California climate, people were
24 wearing more sunscreen. As far as BPA goes, BPA was
25 added to Prop 65 in 2015. So maybe there's a

1 difference in product formulation or utilization by
2 state, something we'll continue to watch.

3 And we'll continue exploring the data.
4 We'll be looking at distributions in the population,
5 which we hope will be helpful to groups like the
6 Safer Consumer Products Program as they consider
7 alternatives for parabens. There's also Senate Bill
8 1226, which will ban bisphenols in juvenile products
9 like teething rings starting in 2026. So we're
10 always thinking about how our data might be used to
11 look at what impact those legislation have.

12 We do have exposure questionnaires, but
13 unfortunately the part of the questionnaire that
14 focused on very recent exposures did not center
15 around phenols until CARE-2. But we are hoping to
16 have CARE-2 phenols data in the next year and then we
17 will be able to explore those exposure sources
18 further.

19 So moving on from CARE, we also have the
20 STEPS study, which will look at PFAS levels among
21 pregnant Californians over time in three counties.
22 The lab has conducted analysis in all of the Orange
23 County samples from 2015 to 2021. They're now
24 completing QA on all that data and we hope to have
25 that later this year. They're also making a lot of

1 progress. More than half of the Fresno samples have
2 been run. And we are waiting for the 2024 birth
3 records for Los Angeles County so that we can select
4 the samples from LA County that fit our eligibility
5 criteria.

6 And STEPS was built on the success of the
7 MAMAS study, which demonstrated the utility of
8 Biobank samples. And MAMAS data analysis, which you
9 heard a little bit about last summer, was just
10 presented in two different presentations at the
11 ISES-ISEE conference, as part of the poster: "Trends
12 of PFASs and Persistent Organic Pollutants and
13 Pregnant Californians" by Dina Dobraca and persistent
14 organic pollutant levels in Californians shouldn't
15 hexachlorobenzene be Decreasing?" That was presented
16 by Ian Tang.

17 There is still a lot of analysis to be
18 done with CARE, MAMAS and STEPS data, but we're also
19 in the early stages of designing our next
20 surveillance efforts, which we hope will involve
21 field collection of samples. So of course the big
22 goal is to develop a methodology that can be
23 sustained into the future to generate the kind of
24 reliable generalizable data that we can use to look
25 at trends. But there are always choices to make

1 since we can't cover everything we would like to.

2 So we're thinking about what analytes to
3 prioritize. Are there particular subpopulations to
4 prioritize? Where in California should we be focused
5 because we just can't get to the entire state all at
6 once? And while we ponder these questions, we're
7 also thinking about ways to make our lab methods and
8 our field work more efficient.

9 So one of the things we're doing is
10 evaluating these micro-sampling devices, which would
11 be less expensive and less invasive and give us much
12 more flexibility in the field. And they basically
13 clip onto your arm. You can see a picture here of it
14 clipped on and it collects 4-500 microliters of
15 blood. You can also use serum separator tubes and
16 spin that down for a serum sample. You can see how
17 happy I am to have collected 500 microliters of my
18 blood here. So that's something we're really looking
19 at because it would really change our field work.

20 So I just want to shift a little bit to
21 now provide some updates on four of our community
22 focused studies. And I'm starting to go faster
23 because I know my time's running out. So our work
24 has largely been focused on getting results and
25 program findings out in BiomSPHERE. The team has

1 completed returning biomonitoring results, most
2 recently for urinary metabolites of PAHs and VOCs.
3 You'll be hearing about that from Aalekhya in just a
4 minute.

5 We also have an evaluation of results
6 return materials for BiomSPHERE, which you heard a
7 little bit about last November. And that's ongoing
8 including assessing participant experiences with
9 Silent Spring's electronic results return platform.
10 So that's a really exciting development for the
11 Program.

12 FRESSCA, the team has also completed
13 running -- returning biomonitoring results, which
14 included metabolites of PAHs, VOCs and metals. And
15 the team also just held a community meeting in July,
16 which was very well attended.

17 For the Asian/Pacific Islander Community
18 Exposures, or ACE, Project, you heard recently about
19 the associations between seafood consumption and
20 serum PFASs levels. Kelly Chen has submitted her
21 manuscript for publication. It's in review and we
22 expect to have that out in press in the fall as well.

23 For SAPEP, we have submitted a short
24 communication to a journal for review highlighting
25 the PAH and VOC findings, particularly the high

1 levels of naphthalene that were measured in SAPEP.
2 And as we release these publications, we're also
3 thinking about how to disseminate findings to a wider
4 audience. So there's a lot of social media, fact
5 sheets, lay audience-friendly ways of getting
6 information out that are also in production.

7 So quickly on the lab side, I've already
8 mentioned the progress that the labs are making,
9 analyzing samples collected for various studies.
10 This is just a summary of the progress ECL has made
11 on STEPS. We're also continuing to explore different
12 PFASs. We're about to send aliquots off as part of
13 our pilot study to have ultra-short PFASs measured
14 and everyone is very curious to see how that's going
15 to go. The lab is also about to demonstrate their
16 new serum methods, cyclosiloxanes and PAHs, which
17 will help us understand impacts of personal care
18 products, wildfires and other exposure sources.

19 Over in the Environmental Health Lab,
20 staff continue to provide data on the CARE study.
21 We've talked about arsenic and phenols data that have
22 been reported. They've now moved on to CARE-2 and
23 we'll have that data out in the next year. They are
24 also working on non-targeted screening to improve
25 targeted methods and potentially identify additional

1 chemicals of concern. So for example, they're
2 working to identify new biomarkers of PAH exposure,
3 particularly for naphthalene and phenanthrene. And
4 they're exploring the use of AI in non-targeted
5 screening to enhance staff efforts to identify
6 chemicals.

7 We've talked about non-targeted screening
8 here before. It has this huge potential to help
9 expand our universe of chemicals that we can identify
10 and quantify, but it's super data intensive. So
11 making this process more efficient would be extremely
12 helpful.

13 And as I alluded to, with all the
14 findings coming out of the Program, our
15 communications team is working on different ways to
16 broadcast the message. We've been developing fact
17 sheets that are devoted to summarize scientific
18 publications. Staff are working on social media
19 campaigns. And this is not the updated slide because
20 we actually just got social media out on PFASs
21 yesterday, which is very exciting. And we have some
22 short videos in production that will also be posted
23 online.

24 Can't get any of it done without this
25 extraordinary team. So thank you to all of you and I

1 will now pause for questions.

2 ACTING CHAIR CUSHING: Thanks Nerissa for
3 that great update. So we'll now invite short
4 clarifying questions to start either from Panel
5 members or the audience. Please hold the more
6 substantive questions for the open discussion period
7 that we'll have shortly. But are there any
8 questions, clarifying questions, at this point?
9 Yeah, Tom.

10 PANEL MEMBER MCKONE: Yes on the slides
11 on arsenic comparing CARE, I guess or yeah, the CARE
12 study to NHANES. I think you mentioned a little
13 later there was one where you next one.

14 DR. NERISSA WU: Was it detection
15 frequency or geometric mean.

16 PANEL MEMBER MCKONE: The ones where with
17 the arrow showing that two -- there. So those are
18 significantly higher, right? Inorganic species in
19 CARE. I think you mentioned it, but I -- is there
20 some operating ideas about why it's higher in
21 CARE-LA.

22 DR. NERISSA WU: I am going to call on
23 Toki Fillman who's the analyst doing this work. I
24 don't know if you've an answer.

25 PANEL MEMBER MCKONE: And if this is a

1 lengthy discussion, we can hold it.

2 TOKI FILLMAN: Thank you for this
3 question. So I don't think we have to know -- we
4 don't know the exact reasons why, but of course it
5 could be due to some of the major exposure sources
6 for inorganic arsenic, which include diets such as
7 rice consumption or drinking water. As we know, in
8 California, we have higher a proportion of the
9 population who are Asian or Hispanic, which may --
10 are known to eat more rice.

11 And also in terms of drinking water,
12 there have been some recent studies that have shown
13 that drink -- public water system drinking water in
14 the southwest states, which include California, also
15 Arizona and Nevada, can have higher drinking water
16 arsenic concentrations as well. So it may be due to
17 these exposure sources, but we do look forward to
18 exploring this data further to get some better ideas
19 about this.

20 PANEL MEMBER QUINTANA: Hi, Jenny
21 Quintana. Just a clarifying question on the next
22 slide, I think. So you're talking about arsenic,
23 this little blue box on the right hand side at the
24 bottom.

25 TOKI FILLMAN: Yes.

1 PANEL MEMBER QUINTANA: About other
2 things you're exploring. And you mentioned smoking
3 at the end. I'm just curious if your questions also
4 ask about secondhand smoke because tobacco smoke is a
5 source of arsenic and other metals.

6 DR. NERISSA WU: I don't remember. Do
7 you guys remember?

8 AUDIENCE: It does.

9 DR. NERISSA WU: It does.

10 PANEL MEMBER QUINTANA: Okay, great.
11 Thank you.

12 DR. NERISSA WU: These are -- none of
13 these are questions for me, I guess, but yes, we ask
14 about secondhand smoke.

15 ACTING CHAIR CUSHING: Rebecca, have
16 there been any questions on the Zoom Q and A? Where
17 is Rebecca.

18 REBECCA BELLOSO: We have not received
19 any questions from online.

20 ACTING CHAIR CUSHING: Okay. So why
21 don't we go ahead and move into the open discussion
22 period for more substantive questions and comments.
23 We have 15 minutes for this.

24 PANEL MEMBER QUINTANA: I have a
25 question, which is maybe getting into a bit of a

1 different topic, but I mean, obviously some of the --
2 many of the chemicals that you've -- that talked
3 about today have to do with, you know, are in
4 plastics, found in plastics. And there's also, I
5 think, recently just been a lot of awareness of
6 microplastics and nanoplastics. And I was wondering
7 if that is something that you are thinking about as a
8 Program. It's a little bit off a -- on a tangent,
9 but I'm curious.

10 DR. NERISSA WU: It is definitely a topic
11 that gets raised to us all the time. And maybe you
12 remember in 2023, we did a round of Program
13 evaluation interviews and microplastics came up from
14 most of the interviewees. We're actually starting a
15 new round of that and I expect microplastics to come
16 up again. It's obviously super important, the
17 methods -- we're following the methods.

18 If Jeff Wagner's online, maybe he could
19 speak to this a little bit, but there are a number of
20 different methods that are being used in fish tissue
21 and some -- and human. There been a number of papers
22 coming out on human tissue, but I don't know that we
23 have a method that we could use on a large scale yet
24 for biomonitoring. But yeah, it's obviously
25 something super important for us to keep in mind.

1 (Inaudible). And we have a lot of plasticizer-type
2 chemicals and we'll continue to measure those.

3 STEPHANIE JARMUL: This is Stephanie
4 Jarmul, just a quick reminder to please identify
5 yourself when you're providing public comment.

6 REBECCA BELLOSO: Oh, and Jeff is
7 actually online if he wants to weigh in.

8 ACTING CHAIR CUSHING: Yes, Jeff. Please
9 unmute.

10 DR. JEFF WAGNER: Yeah, thank you. This
11 is Jeff Wagner. Yeah, following up on Nerissa's
12 comments. I agree. The issue -- some of the issue
13 -- analytical issues with microplastics include
14 you've got a number of polymers at minimum, say, most
15 studies look at maybe six different polymers up to
16 maybe 20 different polymers. And then like Nerissa
17 mentioned, there's all the plasticizers and flame
18 retardants that are associated with them.

19 So you've actually -- and then if you
20 throw in particle size, which is I think a very key
21 aspect of even defining what your analyte is, whether
22 you're talking about five millimeters, five
23 micrometers, or five nanometers you've got a pretty
24 complex matrix of analytes. And then you add to that
25 what the target organs are and what you would expect

1 them to be and whether or not they would show up in
2 traditional matrices like blood or urine. So yeah,
3 it's complicated.

4 DIRECTOR THAYER: Hi, this is Kris
5 Thayer. And also microplastics are on OEHHA's radar,
6 so we're monitoring the exposure space as well as
7 thinking about sort of health outcome comparison. I
8 do have a quick question. When you were talking
9 about the micro-samplers, which are very exciting, do
10 you have like a range of how many chemicals that use
11 sort of a blood-based matrix you might be able to get
12 from a micro-sample.

13 DR. NERISSA WU: Well, the limit is
14 probably -- I mean, we can get whole blood or serum.
15 So anything that we're looking for in a traditional
16 blood or serum sample, we could look at. The
17 limiting factor will be our volume because with a 400
18 microliter sample, about 200 is of serum. So we
19 might be only able to do -- run one Panel on that.

20 Right now, our focus has been PFASs in
21 our most recent studies, but especially with the
22 hexachlorobenzene work that Ian's been doing, I mean,
23 the thought of not measuring our legacy pollutants to
24 track trends in there, that's a loss as well.

25 So this is the kind of -- there are all

1 these considerations we need to look at as we plan
2 our study. And I'll say that the Micros-samplers
3 appeal to us, it -- the logistics of getting into the
4 field and handling so many participants and gathering
5 their samples, it's just very difficult logistically.

6 So if something where we could use a
7 micro-sampler without phlebotomy really opens up a
8 lot of possibilities for us. And can I say one more
9 thing about microplastics? We also have to keep in
10 mind our designated list, what we are enabled to
11 measure in a biomonitoring study.

12 ACTING CHAIR CUSHING: I also just wanted
13 to follow up on the these micro-samplers. I was also
14 wondering which study populations you're employing
15 them in. And then also if you're looking for
16 additional study populations where that could be
17 expanded. And also if you have a sense of the cost
18 yet per sampler. I mean, of course the analysis is a
19 whole other story, but --

20 DR. NERISSA WU: Well, we are not using
21 them in a study just yet. We would -- we're -- our
22 lab is actually looking at them and screening them
23 for PFASs and metals. There is a metal blade that
24 kind of sticks into the arm. And so we have to make
25 sure that it's not contaminating our samples before

1 we use them for anything.

2 We'll then use them as part of our pilot
3 study so we can do venipuncture versus
4 micros-samplers and see if there are differences.
5 And we're also assessing the usability. How long
6 does it take? Are they acceptable by participants,
7 et cetera. So it's a little ways down the road.
8 We're eyeing them for our surveillance in the future.

9 Again, the big payoff is when we have to
10 do many of these samples and need to have people out
11 in the field. But I think there's a huge application
12 for like emergency response. So if we can get these
13 approved by our labs for use for say, metals, and
14 there's a fire where we want to assess blood metals,
15 then we -- somebody else could use these.

16 Maybe not Biomonitoring California, but
17 we other -- have other environmental health
18 investigations teams that do go in after emergency
19 responses. And we ourselves have worked with
20 firefighters to capture samples after a response.
21 And this would just enable a much easier field
22 presence. There was a lot of talk at ISES about
23 them. I don't know if Ian, you have anything to add
24 to the use of micros-samplers by other researchers?
25 Sorry to put you on the spot, but --

1 DR. IAN TANG: Ian Tang, Biomonitoring
2 California. Yes. There's a -- there are fair
3 amounts of researchers now using these
4 micros-samplers or at least testing them. They've
5 mostly been used to look at antibodies or proteins
6 and things like that. So not really looking, excuse
7 me, at chemical exposure. Some people that I've
8 talked to, they've been successful. Others, they've
9 said they've had issues, especially with populations
10 such as young kids. It's supposed to be painless.
11 But I've heard that they've been running into issues
12 as well.

13 ACTING CHAIR CUSHING: Thanks.

14 Jenny, did you have a comment?

15 PANEL MEMBER QUINTANA: Hi Jenny
16 Quintana, I want to talk or ask you about your
17 results return. The more I've been involved with
18 this Program, the more impressed I am with how
19 pioneering California biomonitoring has been in
20 returning complex chemicals to communities. And I
21 think you're really leading the way here. And I'm
22 curious if -- how much evaluation do you do. Do you
23 routinely do evaluation on your results returns? And
24 are you thinking of publishing kind of like best
25 practices from all your years of experience? Or

1 maybe you haven't, I'm sorry if I missed that, but
2 thank you.

3 DR. NERISSA WU: We have done a number of
4 results return evaluation rounds. I wouldn't say
5 it's routine because there's always sort of a
6 different angle on it. So for example, for CARE, we
7 sent out a postcard with a results return -- whoops,
8 packet. And we asked participants to be part of a --
9 as -- of an interview afterwards and collected their
10 information. We've done pre-results return
11 evaluation, both with staff and community members.
12 If there's a particular community we're trying to
13 reach and want to make sure that our language are
14 culturally and linguistically appropriate.

15 For this round, Rebecca presented on last
16 November, this is in the BiomSPHERE community. So
17 again, a particular community that we want to be
18 cognizant of the language we use and if our materials
19 are appropriately accessible. So we are gathering a
20 lot of information. There's been a lot of work done
21 with UC Merced and CCAC, the California Asthma
22 Coalition, working with those participants to get
23 their feedback and we're always trying to make them
24 better.

25 I mean, it's really complicated

1 information to get into just the right language. One
2 of the things we're really excited about is the
3 electronic platform, which we're assessing both from
4 a staff perspective. The results are very
5 staff-intensive to get the packets out, the way they
6 look, to make sure they're error free. But also to
7 make sure participants can access them. We've heard
8 back from a lot of people that the thick packet of
9 papers that you have to thumb through to find your
10 results is actually kind of hard to get through, that
11 people are not really used to getting so much data in
12 that way.

13 So an electric platform where you can
14 kind of dig down through links might be more
15 accessible, but it's something we want to collect
16 more data on. Silent Spring has done a lot of their
17 own assessment, which we -- which we follow their
18 example. And they do excellent work, but we want to
19 try this out with a California population as well.

20 STEPHANIE JARMUL: And then just to add,
21 this is Stephanie Jarmul. We have actually already
22 even started implementing some incremental changes to
23 our materials such as trying to reduce some of the
24 amount of text. Even though as scientists, I think
25 we want to reiterate all the facts multiple times.

1 We started introducing more graphics into our
2 materials and I guess we haven't really shown them to
3 the Panel yet.

4 So that's something that maybe we can do
5 at our next meeting just to showcase some of the
6 things that we've been working on across CDPH and at
7 OEHHA.

8 DR. NERISSA WU: We have published a
9 couple of articles on results return generally, and
10 actually through National biomonitoring Network, we
11 gave an extensive workshop on results return and
12 evaluation.

13 PANEL MEMBER QUINTANA: Thank you.

14 STEPHANIE JARMUL: We do have a comment
15 from a participant, Dr. Sumchai if you wanted to
16 unmute and ask your comment, your question.

17 DR. AHIMSA PORTER SUMCHAI: Good morning.
18 My name is Dr. Ahimsa Porter Sumchai. I'm the
19 principal investigator, founder of the Hunters Point
20 Community Biomonitoring Program. I have a comment
21 about the role of arsenic detections in human
22 biomonitoring and the impact of geospatial mapping
23 and detecting other chemicals in aggregate, how that
24 impacts interpretation of the significance of an
25 arsenic exposure, even if you don't know whether it

1 is speciated to be inorganic versus organic.

2 One of our early mappings, I call the
3 South Basin Cluster and that's where we were
4 detecting the same four chemicals in people living
5 and working in an industrialized region adjacent to a
6 system of federal Superfund sites in South San
7 Francisco. The South Basin Cluster consisted of
8 manganese and vanadium, which we were detecting early
9 on almost a hundred percent of the time, and then
10 arsenic and gadolinium. And we are not able to
11 speciate the arsenic. We can send people we've
12 tested to the San Francisco General Hospital. But
13 it's a very, very lengthy and cumbersome process for
14 them.

15 But with our geospatial mapping by just
16 putting a pinhead with an assigned color. And for
17 the arsenic, it was red, along with blue for
18 gadolinium, yellow for manganese and white for
19 vanadium. In a map of this region called South
20 Central Bayview, we were able to detect neighbors.
21 We had three neighbors who had four of the chemicals
22 or three of the chemicals. And unlike what you're
23 doing, we only map detections that are above
24 allowable levels so that the significance is baked in
25 when we're mapping these detections.

1 We also had an unusual detection of two
2 sisters in the same household who had all four
3 chemicals detected above referenced range. And the
4 older sister, a registered nurse who'd been in the
5 house longer, had higher concentrations of the same
6 for chemicals.

7 So I'm -- you know, just offering that in
8 addition to speciating -- you know, arsenic when it's
9 detected in high concentrations, looking at the
10 pattern of its association, you know, with other
11 toxic chemicals. Vanadium is on the Proposition 65
12 list. And manganese, we have, you know, a detection
13 frequency that, you know, has approached a hundred
14 percent. And shipyard soils have a detection
15 frequency a hundred percent. And shipyard ear
16 monitoring detects manganese in concentrations that
17 exceed the World Health Organization's limits for
18 safe human exposure. Thank you so much.

19 ACTING CHAIR CUSHING: Thank you, Dr.
20 Sumchai.

21 Are there any other public comments in
22 person or via the web?

23 REBECCA BELLOSO: We do not have any
24 additional comments online.

25 ACTING CHAIR CUSHING: Any other comments

1 from the Panel members? Oops. All right. Then I
2 think we can wrap up this section just a little bit
3 early and move on to the next agenda item. We will
4 be hearing from Aalekhya Reddam next. She is
5 Research Scientist in the Safer Alternatives
6 Assessment and Biomonitoring Section at OEHHA and
7 will give a presentation on preliminary findings from
8 the BiomSPHERE study.

9 DR. AALEKHYA REDDAM: Thank you. Is this
10 okay volume-wise? Perfect. Good morning everyone.
11 So today I will be presenting some of our preliminary
12 work on our study titled the Biomonitoring component
13 of the San Joaquin Valley Pollution Health
14 Environmental Research Study, or BiomSPHERE.

15 As many of you know, the San Joaquin
16 Valley is heavily burdened by high levels of air
17 pollution and it contains four AB617 communities.
18 And those are the yellow dots that we see on the map.
19 And these are communities that are selected by the
20 California Air Resource Board, or CARB, as being
21 disproportionately impacted by pollution. I should
22 also mention that there are many other communities
23 that are impacted by air pollution in the Central
24 Valley that have not yet been designated under AB617.

25 Several of our recent community

1 biomonitoring studies have attempted to characterize
2 exposure to air pollutants in this area. So these
3 projects are the Stockton Air Pollution Exposure
4 Project, or SAPEP, FRESSCA-Murejes, and BiomSPHERE,
5 which is the study that I will be talking about
6 today. Researchers from UC Merced, and Berkeley
7 received funding from CARB to initiate the San
8 Joaquin Valley Pollution and Health Environmental
9 Research study, or SPHERE. And the goal of the study
10 was to assess exposures to air pollutants and noise
11 among families that live in Fresno and Stockton.

12 BiomSPHERE added an additional
13 biomonitoring component to this project, and its
14 goals were similar. First, we really wanted to
15 evaluate the air pollution exposures in families, but
16 by analyzing urine samples for biomarkers of air
17 pollution. And then we also wanted to examine
18 differences in exposures between individuals --
19 within individuals, over time and across the two
20 different communities in Stockton and Fresno.

21 And lastly, as I mentioned before, we had
22 a few studies in the San Joaquin Valley and
23 BiomSPHERE is providing additional comparative data
24 to those studies. For BiomSPHERE, we recruited 64
25 families, and these included a parent or

1 grandparent-child pair. The participants either
2 spoke English or Spanish and the majority were
3 non-smoking. We had 12 households in Stockton and 52
4 in Fresno. And the study activities mainly occurred
5 between February to November of 2023.

6 For the participant demographics, our
7 adults were on average 42 years old and the range was
8 between 28 to 66 years old. And our children were on
9 average nine years old with a range of three to 13
10 years old. Most of our adults were female, although
11 our children were more evenly split. And while a
12 majority being female adults is common when
13 recruiting parent-child pairs, moving forward, we
14 really hope to more intentionally recruit more adult
15 males.

16 For race/ethnicity, our participants were
17 mostly Hispanic/Latino. For household income, more
18 than 50 percent of our participants had a household
19 income of less than \$30,000. And a majority of our
20 participants rented their homes.

21 As I mentioned before, the goal of our
22 project was to assess exposure to air pollutants.
23 Two major class of air pollutants are polycyclic
24 aromatic hydrocarbons, or PAHs, and volatile organic
25 compounds, or VOCs. And these are both known to be

1 major components of indoor and outdoor air pollution.
2 Exposure to these chemicals have known to cause
3 cancer, as well as respiratory and cardio health
4 effects -- cardiovascular health effects among
5 others. And here in the slide, we have a few
6 potential sources of PAHs and VOCs.

7 And as we can see, there are a lot of
8 overlapping sources. Both PAHs and VOCs are formed
9 when materials such as tobacco or fuel, such as
10 gasoline and oil are burned. And they're also known
11 to be in consumer products such as paints, cleaning
12 products, and air fresheners. PAHs can also be
13 formed when food is grilled, barbecued, smoked,
14 fried, or roasted. And some VOCs are also tied to
15 gas appliance use. So today I will be talking about
16 the air and biomonitoring results of our PAHs and
17 VOCs in BiomSPHERE.

18 In our study, air monitoring was
19 conducted for 24 hours. We collected one indoor and
20 one outdoor sample at each home. In the picture on
21 the right, the arrows are pointing towards the
22 different air monitors that we use to collect air
23 concentrations for a range of air pollutants. We
24 measured 36 PAHs. We also measured criteria air
25 pollutants such as PM 2.5, ozone, NO2 and carbon

1 monoxide. And Kimberly valle actually presented on
2 these criteria air pollutants at our November 2024
3 SGP.

4 We also measured black carbon and we
5 tried to measure VOCs. However, there were some --
6 there were some issues with the overssaturation of
7 sorbent tubes and therefore we were only able to
8 collect VOCs in a small subset of our population. So
9 today I will be focusing on PAHs in this presentation
10 and we'll focus on the four that overlapped with
11 urinary metabolites or the metabolites that we can
12 measure in urine. And these were naphthalene,
13 fluorene, phenanthrene and pyrene.

14 For our biomonitoring samples,
15 participants were asked to provide the first morning
16 void the day after the air monitoring started. So
17 this was designed to characterize exposure to air
18 pollutants during the same time period that the air
19 monitoring equipment was at the residence.

20 For a subset of our -- for population,
21 which was eight families, daily samples were
22 collected over four consecutive days. And in the
23 urine samples we measured metabolites of PAHs, VOCs.
24 We also measured biomarkers of oxidative stress and
25 inflammation, and also cotinine, which is a

1 metabolite of nicotine, to account for any potential
2 smoke exposure or tobacco-related exposure.

3 Now moving on to the data analysis that
4 we did. For the air monitoring data analysis, if
5 there were values that were below the limit of
6 detection, or LOD, they were imputed by LOD divided
7 by squared root of two. We also calculated the
8 indoor and outdoor ratio for air samples when there
9 was at least one indoor or outdoor sample that was
10 detected in a household. And if a detected sample
11 didn't have a corresponding pair, so for example, if
12 we had an indoor sample that was detected and it
13 didn't have a corresponding outdoor sample, we use
14 imputed values. And then we used univariate linear
15 models to examine associations between the PAHs in
16 air and their respective metabolites in urine.

17 For our biomonitoring data analysis,
18 similarly, the values below LOD were imputed. We
19 used creatinine adjusted values when comparing our
20 concentrations to NHANES just to keep it consistent
21 with what NHANES does. But for our data analysis, we
22 chose to use specific gravity adjusted values. And
23 this is because specific gravity is a direct measure
24 of dilution and is shown to be better, especially for
25 children's samples.

1 We also log transformed the values for
2 normality. And then since eight families gave
3 multiple urine samples in those families, we selected
4 the one that was closest to the air monitoring and
5 then used linear models to -- and then we used linear
6 models to examine associations between the biomarkers
7 of exposure and questionnaire data.

8 So we will first talk about the PAH
9 results. Before I talk about PAHs in air, I would
10 specifically like to acknowledge Marley Zalay from UC
11 Berkeley for all her work on the air data analysis.
12 It was an immense amount of work. So truly, thank
13 you so much to Marley. As I mentioned before, we
14 measured PAH in both indoor and outdoor air at each
15 home. And in this table we have the sample size and
16 detection frequencies for both indoor air on top and
17 outdoor air below. And the Ns represent the sample
18 that had a valid detection.

19 Pyrene unfortunately had fewer
20 quantifiable samples compared to the other PAHs due
21 to an instrument error. And that's why we have a
22 lower sample size for pyrene. When looking at the
23 detection frequencies of the PAHs in air, we see that
24 naphthalene is the most frequently detected PAH. And
25 this is consistent with what we see in other studies.

1 And then when we calculated the
2 indoor/outdoor ratio here, the Ns represent the total
3 number of matched pairs that were used to calculate
4 this ratio. And we see something similar where
5 naphthalene had the highest indoor to outdoor ratio,
6 suggesting that the indoor concentrations are higher
7 than the outdoor concentrations for naphthalene.

8 For our PAH metabolites in urine, we
9 measured nine PAH metabolites for fluorene,
10 naphthalene, phenanthrene and pyrene. In this table
11 we have the detection frequency as well as the
12 medians for adults and children separately. Only
13 2-hydroxynaphthalene, or 2-naphthol, as I'll be
14 referring to it from now on, was detected in all the
15 samples in both children and adults.

16 We also had high detection rates for
17 2-hydroxy fluorene, 1-hydroxyphenanthrene and
18 1-hydroxypyrene. And for the most part we see that
19 children had lower or similar levels of PAHs to their
20 adults. For our data analysis, we only selected
21 metabolites with detection frequency of 65 percent
22 and above, which is similar to what the Program has
23 done as Nerissa also mentioned. And those are the
24 ones that we have highlighted here on this slide.

25 We then compared the PAH metabolites in

1 BiomSPHERE to NHANES. So in each of these graphs, we
2 have the geometric means and the 95 percent
3 conference intervals. The dark blue represents the
4 BiomSPHERE concentrations and the light blue
5 represents the NHANES concentrations. And we have a
6 pair of graphs for adults and children except for 3-
7 and 4-hydroxyphenanthrene because there were low
8 detection frequencies in adults.

9 We compared our BiomSPHERE adults to the
10 20 years and older population in NHANES and then
11 compared our BiomSPHERE children to the children's --
12 children age six to 11 years in NHANES just because
13 that was the closest age range to our BiomSPHERE
14 children. And overall in these graphs we see that
15 most of the geometric means of the PAHs for adults
16 and children in BiomSPHERE are lower than those of
17 NHANES, that is other than 2-naphthol, where the
18 concentrations are significantly higher in BiomSPHERE
19 compared to NHANES in both adults and children. So
20 we have much higher levels of 2-naphthol in our
21 population.

22 As you might remember, we had a similar
23 finding in SAPEP, which was in 2021. So I've put the
24 values of NHANES, SAPEP, and BiomSPHERE in this graph
25 to show the difference of the geometric means. In

SAPEP, we only recruited children and 1- and 2-naphthol were measured together. So we did the same comparison with children from NHANES and BiomSPHERE.

And once again, in this graph, the light blue bar is NHANES. The dark blue bar are the BiomSPHERE concentrations, and the green bar is SAPEP. And really what we see is that SAPEP and BiomSPHERE are significantly higher than NHANES levels. SAPEP, while is higher than BiomSPHERE, it's not a significant difference, but both are significantly higher than what we see in NHANES.

We then looked at correlations between PAH metabolites and adults compared to children in BiomSPHERE. Each of these graphs show the correlations between the log transformed metabolites in children, which are on the X-axis and adults on the Y-axis and r in each of these graphs are the Pearson correlation coefficients. And what we see is that out of all the PAH metabolites, only two levels of 2-naphthol were strongly correlated between adults and children. And this we think is suggesting a common exposure source. And therefore we think that exposures are likely either happening at home or common activities rather than school or at work.

1 We then examined the repeatability of
2 PAHs in urine, and we used intraclass correlation
3 coefficients for these. As a reminder, we had
4 families that gave urine samples for multiple
5 consecutive days. We had seven families that gave
6 samples for four days, and one family that gave urine
7 sample for three days leading to a total sample size
8 of 31 for the multiple samples.

9 And in this table, the different colors
10 represent the interpretation of the different
11 interclass correlation coefficients that are seen in
12 the lower table and the light green and the dark
13 green represent good and excellent repeatability,
14 respectively. So those are the ones that we'll
15 really be focusing on.

16 What we see is that 2-naphthol had
17 excellent repeatability and 2-hydroxyfluorene and
18 1-hydroxyphenanthrene had good repeatability in
19 adults. And 2-naphthol was the only metabolite that
20 had good repeatability in children. So this really
21 suggests that there is relatively consistent exposure
22 for fluorene and pyrene in our adult participants and
23 naphthalene in both our adult and child participants.

24 We then looked at associations between
25 PAHs and indoor air and their respective metabolites.

1 So since the detection frequencies were lower than 65
2 percent for all of our PAHs in air, we looked to see
3 if the concentration of the metabolites were
4 significantly different between participants that had
5 any detections in their indoor air or not.

6 So in these graphs we see the
7 concentration of metabolites, and that's on the
8 Y-axis. And the white dots here represent households
9 that didn't have any PAHs detected in there, so they
10 were not detected. But the green dots represent PAHs
11 -- households that had PAHs detected in air. And the
12 black bars are the geometric means. And really what
13 we see was that there were no significant differences
14 between the PAH metabolites in participants that had
15 PAHs detected in air or not.

16 And we also didn't see any positive
17 associations between PAHs metabolites, and ones
18 detected in outdoor air suggesting that neither
19 indoor nor outdoor air are significant contributor to
20 the metabolite levels.

21 BiomSPHERE study also had two
22 questionnaires. There was one that was below --
23 before the air sampling data and one that was after
24 the air sampling data. So the post-sampling
25 questionnaire was used for demographic and housing

1 variables and the post sampling questionnaire asked
2 questions about habit and product use over the past
3 two days. We had a wide range of -- range of
4 questions in both the questionnaires, and these are
5 the ones that we focused on for our analysis.

6 For the pre-sampling questionnaire, we
7 asked questions about race/ethnicity, sex, household
8 income, home ownership, the presence of an attached
9 garage and the city of residence. And for our
10 post-sampling questionnaires, we selected questions
11 on cleaning product, air freshener, gas stove, and
12 personal care product use, as well as grilled food
13 consumption.

14 Among the pre-sampling questionnaire
15 data, there were only significant associations with
16 2-naphthol. We assigned race/ethnicity to the child
17 based on the parents' race/ethnicity, and as a
18 reminder, we had a much higher proportion of
19 Hispanic/Latino participants. So due to the low
20 sample size across the different multiple
21 ethnicities, we binned race/ethnicity into either
22 Hispanic/Latino or not Hispanic/Latino. And if a
23 participant was multiracial and selected
24 Hispanic/Latino as one of their races, they were also
25 included into that Hispanic/Latino category. We see

1 that in both adults and children, geometric means
2 were approximately three times higher in our
3 Hispanic/Latino participants compared to our
4 non-Hispanic/Latino participants.

5 And then as a reminder, one of our aims
6 was also to examine the differences between levels
7 within Stockton and Fresno. And what we saw was
8 after adjusting for race/ethnicity, there were no
9 significant differences in PAH levels between
10 Stockton and Fresno. But also as a reminder, we had
11 a much smaller size in Stockton, we had an N of 12
12 versus in Fresno we had an N of 52.

13 As our Hispanic/Latino participants had
14 higher levels compared to our non-Hispanic/Latino
15 participants, we wanted to see if there was a similar
16 trend in NHANES. So in these graphs, the adults are
17 on the left and the children are on the right, and we
18 see similar trends for both of the populations. And
19 although we see that the levels are significantly
20 higher in our Hispanic participants -- in Hispanic
21 participants compared to the non-Hispanic
22 participants at NHANES, the magnitude is just so much
23 higher in BiomSPHERE than it is NHANES suggesting
24 that there are probably multiple factors that are
25 contributing to the high levels of 2-naphthol in our

1 population.

2 Furthermore, although we have a small
3 sample size of Black participants in BiomSPHERE, we
4 also see that they have high levels compared to our
5 White participants. And this is similar to what we
6 see in NHANES, but because our sample size is so
7 small, we can't draw any concrete conclusions. But
8 we really just wanted to highlight it and highlight
9 the need for additional research to explore this
10 finding further.

11 We then ran associations with variables
12 from our post-questionnaire data. So as we saw
13 significant differences in race/ethnicity, we
14 adjusted for it in our models and we saw significant
15 positive associations with 2-naphthol and product
16 use. So in this table here we have the product that
17 had significant associations and the percent of
18 participants in BiomSPHERE that had used these
19 products. And in both adults and children, we see
20 significant positive associations with the use of
21 household cleaners, air fresheners, and some personal
22 care products and urinary 2-nap levels.

23 In adults, we see that the use of plug in
24 air fresheners is associated with almost a four times
25 higher increase of 2-naphthol in. Then we also see

1 two times higher concentrations on 2-naphthol and
2 adults that use all purpose spray perfume and any
3 types of air fresheners. In children we also see the
4 plug in air fresheners had the highest effect size
5 onto naphthol levels around three times higher, and
6 then also approximately two times higher levels when
7 children were in homes they used all-purpose spray,
8 carpet or upholstery cleaner, any type of air
9 freshener or air fresheners or spray -- air freshener
10 sprays.

11 And then we also saw non-significant
12 positive associations between other scented product
13 use such as scented lotion, scented body wash,
14 deodorant spray, as well as restroom furniture, glass
15 and floor cleaners and urinary 2-naphthol levels in
16 both adults and in children. And then we also wanted
17 to examine if this product use was what was
18 contributing to the high levels in our
19 Hispanic/Latino population. So when we ran models
20 accounting for the reported product use in our
21 associations between race/ethnicity and 2-naphthol
22 levels, the associations were only slightly
23 attenuated and the 2-naphthol levels were still
24 around three times higher in our Hispanic/Latino
25 participants, suggesting that the product use cannot

1 fully explain the really high levels that we're
2 seeing in them.

3 But yeah, moving on to our VOC results,
4 we measured six VOC metabolites for acrolein,
5 acrylonitrile, benzene, 1,3 butadiene, crotonaldehyde
6 and propylene oxide. And similar to PAHs, we only
7 selected metabolites with a detection frequency above
8 65 percent for data analysis, which are the values
9 that we've highlighted here. And these are the ones
10 again that we use for data analysis. And then the
11 VOCs with high detection rates, we see that
12 concentrations are higher in children, which is
13 different than what we saw with the PAHs, but we did
14 not see any VOC metabolites that were significantly
15 higher in our BiomSPHERE participants compared to
16 NHANES. We do see slightly higher levels of
17 propylene oxide metabolites, which is consistent with
18 what we saw in the East Bay Diesel Exposure Project
19 and slightly higher levels of acrolein and
20 acrylonitrile. However, none of these are
21 statistically significant.

22 And then when looking at the
23 repeatability of VOCs in urine, we see that four of
24 the VOC metabolites with detection frequency of more
25 than 65 percent had moderate to good repeatability in

1 adults suggesting a relatively consistent source of
2 exposure for crotonaldehyde acrolein and
3 acrylonitrile in adults but not in children. And
4 lastly, we did not observe any significant positive
5 associations between the questionnaire data and the
6 VOC metabolites. If you recall, in the East Bay
7 Diesel Exposure Project, we saw significant
8 associations between gas appliance and candle use and
9 BTEX metabolites, so metabolites of benzene, toluene,
10 ethylbenzene, and xylene. And we used a CDC panel in
11 EBDEP because at the time, Biomonitoring California
12 was not aware of any other labs in California that
13 measure VOCs in urine.

14 But the panel that we used in BiomSPHERE
15 did not measure these BTEX metabolites. And then we
16 think we might be missing those associations here.
17 And then hence, moving forward, we think it's
18 important to use the same CDC panel that we used in
19 EBDEP and we think it may include more relevant
20 metabolites more relevant to our exposures of
21 interest. And then luckily for us, EHL has actually
22 recently developed these capabilities so we can run
23 VOCs in-house for our next study.

24 So with that, in conclusion, we did not
25 see any significant associations between the

1 detection of PAHs in air with their corresponding
2 metabolites in urine, suggesting that it's not a
3 significant contributor to the metabolite levels. We
4 see that most levels of PAHs and VOCs in urine were
5 either similar to or lower than NHANES, except for
6 2-naphthol. We see the correlations between adults
7 and children and intraclass correlation coefficients
8 suggest in that there is a common and consistent
9 source of naphthalene. And we also see that
10 2-naphthol levels were significantly higher in our
11 Hispanic/Latino population -- participants and were
12 positively associated with household cleaning
13 products, air fresheners and perfumes.

14 I also wanted to mention a couple of our
15 next steps. First, we plan on having a community
16 meeting in the fall to disseminate these findings
17 from BiomSPHERE study to our participants and their
18 community. And then we also plan on conducting some
19 additional analysis. One to look at the associations
20 between the biomarkers of exposure and the biomarkers
21 of response. And lastly, we would also like to
22 combine the data from the different studies in the
23 San Joaquin Valley to identify potential sources of
24 naphthalene in these communities and also really dig
25 into the data and try and identify optimal biomarkers

1 of air pollution exposures and whether we should
2 consider adding or dropping any of these for future
3 studies. I would truly like to thank all our
4 participants and project collaborators. As you can
5 see, there's so many of them without which this study
6 would not have been possible. And we'll take any
7 questions. Thank you.

8 ACTING CHAIR CUSHING: Thank you,
9 Aalekhya, and congratulations on getting to this
10 point in the project. It's always really exciting to
11 see the results after all the hard work that went
12 into this. So we'll start again with clarifying
13 questions from the Panel or the audience.

14 Maybe I'll start with one. This is Lara.
15 Could you repeat again the timeframe for the air
16 sampling and how it compared to the urine collection?
17 Like, was it an integrated 24-hour sample taken
18 around the same time as the urine?

19 DR. AALEKHYA REDDAM: It was around the
20 same time. So I think air monitoring occurred in the
21 morning -- between morning and afternoon and went for
22 24 hours. And the day it ended was the day we asked
23 for the morning void sample.

24 ACTING CHAIR CUSHING: Got it. Thank
25 you.

1 Yeah, go ahead.

2 PANEL MEMBER QUINTANA: Hi Jenny
3 Quintana. Just a quick clarifying question, similar.
4 So do you have any information on whether the
5 participants were home that day or where they spent
6 their time.

7 DR. AALEKHYA REDDAM: We do have
8 information on that. I think most of the
9 participants were at home that day.

10 PANEL MEMBER QUINTANA: And then the
11 half-life of the metabolites is within that window.
12 That same window is my understanding.

13 DR. AALEKHYA REDDAM: Yeah. I think so.

14 STEPHANIE JARMUL: Yeah. This is
15 Stephanie Jarmul. I can just add they are pretty
16 short for PAHs and VOCs, I think about six to eight
17 hours. So we -- we're hoping to capture their
18 exposures while they're at home during that.

19 PANEL MEMBER PADULA: This is Amy Padula.
20 I was wondering if the same instrument was used both
21 indoor and outdoor and what -- which instrument that
22 was? If -- or I can also look that up.

23 DR. AALEKHYA REDDAM: The same
24 instruments were used indoor and outdoor. We did
25 have a different instrument for naphthalene because

1 naphthalene is primarily in the vapor phase. And let
2 me see, we use for the PAHs 37 millimeter quartz
3 fiber filter. And for naphthalene was an XAD
4 containing sorbent tube.

5 PANEL MEMBER MCKONE: This is clarifying,
6 but it may actually lead to more depth later on, but
7 when you looked at the measurements of air pollution,
8 you were looking -- PAHs was one of them. And even
9 though naphthalene is volatile, if it's coming from
10 cooking you might see a -- did you look to see if
11 there were peaks in the household of PM when there
12 was also a really high level of naphthalene in the
13 markers? And since the time course is fairly --

14 DR. AALEKHYA REDDAM: Uh-huh.

15 PANEL MEMBER MCKONE: -- consistent,
16 right? It wouldn't be like a take days to see the
17 naphthalene. You -- was there a way to look at a
18 high event that is associated with cooking?

19 DR. AALEKHYA REDDAM: That is such a good
20 point. We didn't have real time monitoring for PAHs,
21 so we weren't able to see any peaks. So it was just
22 over the 24 hours how much was collected. So -- but
23 I think that is a really good point and moving
24 forward it would be interesting to incorporate that.

25 PANEL MEMBER LUDERER: Yeah. I have a

1 question. I think so you said that there were no
2 significant associations between the indoor PAH
3 measurements and the urinary metabolites, but I don't
4 -- maybe I missed this, but did you also do a similar
5 analysis for the outdoor concentrations.

6 DR. AALEKHYA REDDAM: We did.

7 PANEL MEMBER LUDERER: And was it the
8 same result.

9 DR. AALEKHYA REDDAM: And there was
10 nothing there, too. Yeah.

11 PANEL MEMBER LUDERER: Thanks.

12 ACTING CHAIR CUSHING: For the
13 stenographer, that was Tom and then Ulrike.

14 Rebecca, are there any questions,
15 clarifying questions online? No. Okay. So we can
16 go ahead and move into more substantive discussion
17 questions and comments. We'll start with the Panel.

18 Go ahead, Tom.

19 PANEL MEMBER MCKONE: I want to circle
20 back to the naphthalene. I mean I still -- I mean
21 we're looking at this data and especially cultural
22 differences, I really just have a suspicion that
23 fried food is in there somehow. And I don't know how
24 easy it is because when you fry something, you just
25 get a burst of fine particles and PAHs, but they

1 don't last very long. I don't know if it's -- might
2 not be fully visible and only show. So the thing
3 about a biomarker is it's an integrator over a long
4 time.

5 DR. AALEKHYA REDDAM: Uh-huh.

6 PANEL MEMBER MCKONE: And of course some
7 of it may be ingested related, but was there a way to
8 really look into the way food was prepared in the
9 households that had the high naphthalene in their
10 blood.

11 DR. AALEKHYA REDDAM: Uh-huh.

12 PANEL MEMBER MCKONE: Urine.

13 DR. AALEKHYA REDDAM: We did have
14 questions about if they barbecued or grilled food.
15 So it was more about the food preparation and I'm
16 assuming it also is of food consumption and there
17 weren't any significant associations with that. And
18 we also asked about yeah, if they had cooked and
19 there weren't any significant associations with that
20 either. So I wonder if there's like a specific
21 method that we should really be focusing on more,
22 asking more detailed questions, but the more general
23 questions about barbecue indoors and cooking didn't
24 yield anything.

25 PANEL MEMBER MCKONE: I just want to

1 follow up. The reason I bring this up is Lance
2 Wallace, the name you may recognize for doing a lot
3 of work on indoor air pollution. His wife is
4 Hispanic and they made a lot of tortillas on a frying
5 pan. And of course, Lance Wallace measured
6 everything. He has a house monitor for everything.

7 And he said, you know, when you take --
8 when you take a tortilla and put it on the pan, he
9 said the monitors just went, you know, through the
10 roof and then dropped and Wayne Ott -- and Lance
11 Wallace are two people that did this all the time.
12 So, you know, the -- you may be questioning people
13 and they say, oh, well we don't do anything unusual.

14 DR. AALEKHYA REDDAM: Yeah.

15 PANEL MEMBER MCKONE: And -- but that
16 might not be unusual. They may not be frying food as
17 they think. But an activity like that is actually
18 something we don't think of, but it produces from
19 experimental evidence, produces a lot of both fine
20 particles and PAHs.

21 DR. MARTHA SANDY: So, Martha Sandy, I
22 have a question for you, Tom, and thank you for
23 giving that additional information. So I wanted to
24 know if it was frying by that you meant it was on oil
25 or it's just the hot temperature. And I'm also

1 wondering, has anyone looked at, when you stir fry
2 food, which is also very high temperature, would you
3 also expect.

4 PANEL MEMBER MCKONE: So I don't think
5 Lance looked at that, but he was -- so he looked at
6 where you take a pan, you get it hot, put oil in,
7 just a thin coat of oil, get it hot, and you throw a
8 tortilla in till this crispy and flip it over. I
9 mean, that's what he looked at, that kind of -- and I
10 have a son who loves tortillas and it's what he does
11 all the time. And you know, I -- we have our Purple
12 Air goes off the roof when he does that.

13 STEPHANIE JARMUL: This is Stephanie
14 Jarmul. I just want to add quickly that to your
15 point Tom, we still did not see high levels of
16 naphthalene in the air though, which is why any of
17 the activities that could be contributing to the --
18 to high air pollution levels, we actually didn't see
19 particularly high air pollution levels. So perhaps
20 it could be contributing to levels by consuming those
21 foods, but I don't really know. We didn't see any
22 associations with the air.

23 ACTING CHAIR CUSHING: I see you, Oliver.
24 We'll come to you next. There's more comments in the
25 room. One second. Hold on.

1 SUSAN HURLEY: Susan Hurley from
2 biomonitoring, California. As you know, I've been
3 very interested in this whole naphthalene mystery.
4 And one of the reasons I feel like it may not be
5 related to cooking is that none of the other PAHs are
6 particularly elevated and particularly
7 1-hydroxypyrene, which it's my understanding is
8 fairly affected by frying and cooking.

9 So I haven't been able to find a lot in
10 the literature about how these different PAH
11 metabolites are related to cooking. And if anyone
12 knows any good references on that, I'd love to see
13 them. But that's why I'm kind of leaning towards
14 away from thinking that the naphthalene levels are
15 being driven by cooking.

16 STEPHANIE JARMUL: I'm sorry, this is
17 Stephanie. One more quick comment. I think Aalekhya
18 actually also looked at the correlation between the
19 PAHs and did not see -- or let's see what she saw.

20 DR. AALEKHYA REDDAM: Yeah. Did not see
21 any significant correlations between 2-naphthol and
22 the other PAHs.

23 STEPHANIE JARMUL: Which suggests that
24 something really unique is happening with 2-naphthol
25 there.

1 ACTING CHAIR CUSHING: Is your question
2 on naphthalene or related.

3 SUSAN HURLEY: Yeah.

4 ACTING CHAIR CUSHING: Okay. Let me --
5 yeah. Pass to Oliver who's had his hand up.

6 PANEL MEMBER FIEHN: Okay. Now you can
7 hear me. So thank you. I was wondering about the
8 methods. I'm a little concerned about the high
9 number of undetected compounds and you know, over the
10 years, you know, methods have been improved and, you
11 know, if concentrations were similar to NHANES I
12 think we should expect now with today's methods
13 better detectability of these compounds. Can you
14 comment on those and you know, whether or not you
15 know, improvements in methods have been considered.

16 DR. AALEKHYA REDDAM: Sorry, Oliver, are
17 you talking about detections in urine or detections
18 in air.

19 PANEL MEMBER FIEHN: In urine -- in
20 urine.

21 DR. AALEKHYA REDDAM: I'm not sure I have
22 an answer to that. I don't know if there's anyone
23 else who would better.

24 STEPHANIE JARMUL: Well, and can you show
25 your slide? I think we had pretty high detections

1 though. For a lot of the chemicals, only some of the
2 metabolites we did not see detection frequency over
3 65 percent. Do you have another comment, Oliver, or
4 looks like Jianwen also --

5 PANEL MEMBER FIEHN: No, that's fine,
6 thank you.

7 STEPHANIE JARMUL: Okay, thanks. Jianwen,
8 did you want to comment? I think you need to unmute.
9 There you go.

10 DR. JIANWEN SHE: Yes. Dr. Oliver Fiehn,
11 and I think that's very good question where we talk
12 about detecting frequency, we always need to link
13 with the method detection limits. And we didn't a
14 lot do this study. UCSF provided the test to support
15 the study, but you're absolute right with today's
16 technology. For PAH metabolites, according to our
17 own experience within the organic group, we have the
18 most sensitive method which require the high
19 resolution GCMS. So I don't know what's the method
20 detection limit the other laboratory is using. But
21 definitely that's associated with detection limits.

22 STEPHANIE JARMUL: Thank you, Jianwen.

23 PANEL MEMBER PADULA: Thanks. This is
24 Amy Padula. I guess I have a question. I'm also
25 wondering if traffic-related pollution is still maybe

1 impacting the urinary ones in a location maybe
2 outside of the home. So I guess I'm still curious, I
3 know you said maybe most of the people were home.
4 Was this done on the weekend then? Like so the
5 children were not at school presumably.

6 DR. AALEKHYA REDDAM: I don't know the
7 numbers at the top of my head.

8 PANEL MEMBER PADULA: Okay.

9 DR. AALEKHYA REDDAM: I think some of the
10 children were at school, but I think yeah, for the
11 majority of the time was spent indoors.

12 PANEL MEMBER PADULA: Even at school.

13 DR. AALEKHYA REDDAM: Even at school,
14 yeah. Right. Okay. But I guess I'm just still a
15 little bit, yeah, wondering about that because, yeah,
16 these -- it's hard to make sense of these things
17 otherwise. And then -- and also wondering if you've
18 looked at other traffic measures maybe in the
19 neighborhood beyond just the measurement of that
20 single day.

21 I mean if there's any other maybe
22 differentiation we could see by where people lived
23 and potential traffic exposure outside of this.

24 DR. ASA BRADMAN: I know we have a
25 variable, we haven't looked at associations with it,

1 but distance to highway 88 and I think that would be
2 interesting to look at.

3 But then I think it comes back to the
4 same thing that if that's a contributor, then maybe
5 would we see higher levels in the air and would it
6 also potentially be associated with the metabolite
7 levels? So that's also -- or maybe there's an
8 another exposure source that we're missing. Is it in
9 the soil and food? Yeah.

10 PANEL MEMBER PADULA: And I just feel
11 this is so common with PAHs, this, like, disconnect
12 between the urine and the air it's, yeah. I'm not
13 sure which one where we're going wrong.

14 STEPHANIE JARMUL: And Issa Bradman's
15 (PAH) online. You are muted. Asa, did you want to
16 say something.

17 DR. ASA BRADMAN: I -- yeah, I just typed
18 a little note in -- but one, the urine samples were
19 collected in the morning, so they probably mostly
20 reflect home exposure. And then we, we do have
21 traffic information. We have traffic near the home
22 based on the traffic tool from California Tracking.

23 And then we also separately plotted the
24 distance to the 99 which is a major truck route. And
25 we see for example, some correlations with black

1 carbon measurements and the 99. So traffic is
2 something that we could look at. I don't have enough
3 experience with PAHs to know whether naphthalene
4 would be different than some of these other compounds
5 we measured and why it seems to stand out in this
6 population.

7 ACTING CHAIR CUSHING: Jenny, go ahead.

8 PANEL MEMBER QUINTANA: Hi, Jenny
9 Quintana. Just a couple things. If you have an
10 indoor source and you have a population like this
11 where you have a great variation in income levels,
12 something that can mediate that is home volume. And
13 I'm just curious if you had collected home volume or
14 how many bedrooms or square feet, at least, is one
15 thing that could affect the same source, you know, be
16 higher level than a smaller home. You see that for
17 indoor smoking, for example. And I was also curious,
18 I think you did say you collected information on home
19 ventilation and behaviors like opening doors and
20 windows, so that would be of interest.

21 DR. AALEKHYA REDDAM: Uh-huh.

22 PANEL MEMBER QUINTANA: So one particular
23 -- sorry, is that one of mine.

24 DR. ASA BRADMAN: Just to answer that
25 question too.

1 PANEL MEMBER QUINTANA: Yeah.

2 DR. ASA BRADMAN: We do have an estimate
3 of the -- of the volume of the dwelling. And we also
4 and -- square foot and we also have an estimate of
5 the air change rates. So we do have some of that
6 information.

7 PANEL MEMBER QUINTANA: And I guess my
8 last couple comments would be just that I think of
9 naphthalene as one source in Central Valley and as is
10 Imperial valley near San Diego is agricultural
11 burning. And I'm just curious if you have burns and
12 locations. And also just to say this is a fairly
13 small sample size, especially if you have detection
14 levels and you can't see correlations if you don't
15 have variability. So if you have little variability
16 in the participants, there could be a real source or
17 something but you just won't see a correlation with a
18 small sample size. That's all. Thank you.

19 DR. AALEKHYA REDDAM: Thank you.

20 DIRECTOR THAYER: This is Kris Thayer. I
21 had a question. So the temporal variability, the
22 intra class correlations, coefficients, they seem
23 like they were generally lower for kids.

24 DR. AALEKHYA REDDAM: Yes.

25 DIRECTOR THAYER: Compared to adults. Is

1 that sort of a pattern that you've seen in other
2 temporal variations?

3 DR. AALEKHYA REDDAM: I think so, yeah.
4 I think children also just have higher variability,
5 like their metabolism is more variable too and,
6 Meltem, if you have any thoughts. But I think this
7 is consistent with what we've seen in literature too,
8 where children just tend to have more variability
9 than adults do. The habits are different.

10 ACTING CHAIR CUSHING: Maybe I'll take
11 this lull to check in with Rebecca, see if there's
12 any comments.

13 REBECCA BELLOSO: No.

14 ACTING CHAIR CUSHING: Okay. Yes.

15 PANEL MEMBER QUINTANA: Yes. This is a
16 more sweeping question. But especially thinking
17 about PAHs and some of these VOCs and your
18 comparisons within NHANES. I don't want to sound
19 like a broken record, but I've also worked in tobacco
20 control and if you go any other state besides
21 California, you really notice how secondhand smoke --

22 DR. AALEKHYA REDDAM: Uh-huh.

23 PANEL MEMBER QUINTANA: Work on thirdhand
24 smoke, there's so much more contamination and I'm
25 almost wondering if we should really compare, say the

1 children to those NHANES participants with the same
2 levels of urinary cotinine, which are usually very
3 low in California compared to other states. And that
4 way might be more fair comparison for the other
5 exposures to PAHs or something like that.

6 DR. AALEKHYA REDDAM: Uh-huh.

7 PANEL MEMBER QUINTANA: I know that
8 information is available but you have to jump through
9 hoops to get it maybe. Yeah. Thank you.

10 DR. AALEKHYA REDDAM: That's a great
11 point. Thank you.

12 STEPHANIE JARMUL: This is Stephanie
13 Jarmul, too. Just wanted to add a point that some
14 new research has come out about some trends that
15 they're seeing in two naphthol levels and we are
16 seeing in general an increase globally it seems, but
17 not again to the extent that we're seeing in our
18 population in the Central Valley. So we have had
19 some more recent data to compare to other than just
20 NHANES. Our values still seem very high in the
21 Central Valley.

22 ACTING CHAIR CUSHING: This is Lara. I
23 know you mentioned you're having a community meeting
24 coming up here soon. So I don't know how many you've
25 had so far, but I'm just curious if participants or

1 community members, how -- if they've seen this, how
2 they've reacted to it and if they have any thoughts
3 on exposure sources.

4 STEPHANIE JARMUL: This is Stephanie
5 again. You know, surprisingly they -- we have not
6 gotten many comments of concern about the naphthalene
7 levels and we do try to message it as such that you
8 know we're not sure of the sources but here are still
9 some ways that you can reduce your exposures to
10 naphthalene and other PAHs. So we try and also give
11 them some opportunities to perhaps reduce their
12 levels if possible.

13 But in general we haven't received any
14 particular concern from community members and we
15 haven't shared these results for BiomSPHERE. But we
16 did just have our FRESSCA, this is a little teaser.
17 We are seeing the same trend in our FRESSCA
18 population. So for SAPEP, BiomSPHERE and FRESSCA.
19 And so yeah, we did not have any comments from our
20 FRESSCA participants on it.

21 PANEL MEMBER LUDERER: So I do have kind
22 of another follow up question about the 2-naphthol.
23 One of them is -- so they were -- so the -- it's
24 associated with use of certain kinds of products like
25 the air fresheners and things like that in

1 particular. But do you have any kind of temporal
2 data about when they were using that relative to when
3 they did the sample collection.

4 DR. AALEKHYA REDDAM: We only have data
5 about if they used it today or yesterday and I think
6 we were thinking about diving in a little deeper to
7 see if it was closer are the levels higher in any
8 way? So yeah, that is a good point but that's as
9 high temporal resolution that we have.

10 STEPHANIE JARMUL: I am sorry, stepping
11 in just to add to that we did also reach out to CARB
12 as part of their consumer product survey to see if
13 it's possible that naphthalene could be an ingredient
14 in some of these fragrances and not be listed. And
15 it is possible that it could be under fragrance but
16 we don't know if it is in fact in these products.

17 PANEL MEMBER QUINTANA: I'm just curious
18 because we're doing so much comparison with the
19 NHANES subset that's analyzed for environmental
20 chemicals. If that effort is ongoing at the same
21 pace currently as we've -- as we're used to, are we
22 going to still continue to get this same data? Do
23 you have anybody have any information.

24 DR. AALEKHYA REDDAM: In terms of like
25 the date for NHANES, we are still looking comparing

1 it to 2015 to 2016; is that right?

2 PANEL MEMBER QUINTANA: Right. But I'm
3 just wondering if efforts are currently affected by
4 current events at the CDC since some other things
5 have been affected.

6 STEPHANIE JARMUL: Kathleen, did you get
7 an update on that at ISES?

8 DR. KATHLEEN ATTFIELD: Yeah, I don't
9 think I can speak for the CDC NHANES program really
10 well, but did hear yeah, that the plans are ongoing
11 for the next cycle and that the lab's work has been
12 sustained. It seems like the epiability to chug
13 through all the data to get it posted is further
14 delayed than it has been. So we shouldn't expect,
15 you know, newer rounds of data to appear super
16 quickly.

17 DR. AALEKHYA REDDAM: Thank you.

18 ACTING CHAIR CUSHING: Yeah. Tom, go
19 ahead.

20 PANEL MEMBER MCKONE: Yeah what round of
21 the NHANES was this compared to.

22 DR. AALEKHYA REDDAM: The PAHs were
23 2015-2016. So it was.

24 PANEL MEMBER MCKONE: 20 -- oh.

25 DR. AALEKHYA REDDAM: Yeah. And the VOCs

1 were 2017-2018.

2 PANEL MEMBER MCKONE: And this was what
3 year, sorry.

4 DR. AALEKHYA REDDAM: BiomSHERE was 2023.

5 PANEL MEMBER MCKONE: Right. So there's
6 a lot of years in between.

7 DR. AALEKHYA REDDAM: Yeah there are a
8 lot of years.

9 PANEL MEMBER MCKONE: So if somebody has
10 introduced a new product on the market.

11 DR. AALEKHYA REDDAM: Yeah.

12 PANEL MEMBER MCKONE: That is -- would be
13 in every household in the country but we wouldn't
14 have seen it back in the last. Okay.

15 DR. AALEKHYA REDDAM: Yeah.

16 PANEL MEMBER MCKONE: I mean that's one
17 thought is that there's something that people are
18 using that we found.

19 DR. AALEKHYA REDDAM: Yeah.

20 PANEL MEMBER MCKONE: I mean that you saw
21 in California. But it's not in NHANES because the
22 product just came into the market more recently. I
23 mean it's just speculation, but it could be
24 something.

25 DR. AALEKHYA REDDAM: And we've tried to

1 see if there's literature out there with more recent
2 studies that have 2-naphthol levels and all of it is
3 outside the U.S. and -- but again, like Stephanie
4 said, they are also increasing but there just isn't
5 any literature on urinary 2-naphthol here in the U.S.
6 that we can compare to.

7 STEPHANIE JARMUL: And we do have Jianwen
8 who would like to provide a comment online.

9 DR. JIANWEN SHE: Yes, thank you. I
10 think that the team is very interested in the source
11 of the naphthalene and also broad group of PAH. So
12 the PAH have might have the dietary input and also
13 the air, so for example -- so of course we find very
14 high levels of 2-nap, which stand out.

15 For laboratory which raise the question,
16 is beyond the questionnaire, is laboratory have new
17 markers visited. I think that they might be because
18 when naphthalene go to our bodies with which form
19 1,2-epoxide. 1,2-epoxide form
20 1,2-dihydroxynaphthalene instead of monitor
21 1-monohydroxynaphthalene, dihydroxynaphthalene could
22 be a good marker. And then so the laboratories
23 explore that part because dihydroxynaphthalene might
24 better correlated with inhalation instead of the
25 dietary exposure of the PAH especially for the left

1 naphthalene exposure.

2 Second comment as presentation show MTBEX
3 tended to have a better correlation between the urine
4 and air. But MTBEX is always single benzene rings
5 and then naphthalene have two benzene rings, which is
6 also qualify naphthalene as a VOC. So MTBEX volatile
7 metabolites as a VOC. So the -- what my point is
8 naphthalene could be -- have VOC metabolites, which
9 more capture the acid when it's combined with the
10 glutathione. So laboratory also looking for the way
11 to find the VOC metabolites the new biomarker and on
12 to characterize naphthalene overall total exposure
13 because mono or di, plus VOC may give us full
14 picture. So that's that one comment how we try to
15 solve from analytic technique part of the issue.

16 ACTING CHAIR CUSHING: Okay. Any more
17 comments or questions online or in the room? Amy.

18 PANEL MEMBER PADULA: I have one other
19 thing and I was just wondering, I noticed this was
20 done across several different months and I was just
21 wondering if there's any difference by season.

22 DR. AALEKHYA REDDAM: Oh, that is a good
23 point. I think we did see differences by season.
24 Dan, do --? Yes, we did. I don't have those results
25 off the top of my head.

1 ACTING CHAIR CUSHING: Okay. If there
2 are no further comments or questions, we can wrap up
3 this section. Thank you so much Aalekhya for a
4 really provocative thought-provoking presentation and
5 to Nerissa for the great overview of all the great
6 work go -- happening at Biomonitoring California. So
7 we'll have, I guess a little bit longer lunch than
8 expected. We'll reconvene at 1:05, so please be here
9 before that. So we can start promptly after lunch.
10 Thanks.

11 (RECESS).

12 ACTING CHAIR CUSHING: Dr. Anderson has
13 more than 110 peer reviewed articles and holds five
14 patents. She is a member of the Gulf Research
15 Program Advisory Council for the National Academies
16 of Science, and has served on the board of directors
17 for both North America and World Council for the
18 Society of Environmental Toxicology and Chemistry.

19 Dr. Anderson has been developing passive
20 samplers since 1999, and in 2008 developed the
21 personal silicone wristband sampler technology to
22 measure individual chemical exposure. So we are
23 thrilled that she's here today to give a presentation
24 on the development and use of silicone wristbands as
25 an exposure tool. So thank you, Dr. Anderson, and

1 I'll hand it to you.

2 DR. KIM ANDERSON: Thank you. Just
3 verifying that you can see my slides. Can you see my
4 slides.

5 STEPHANIE JARMUL: Yes. Actually, we see
6 the notes view.

7 DR. KIM ANDERSON: Okay. Just a sec.

8 STEPHANIE JARMUL: So I think if you go
9 to display settings, you just say swap presenter
10 view.

11 DR. KIM ANDERSON: How's that.

12 STEPHANIE JARMUL: Perfect.

13 DR. KIM ANDERSON: Okay, well -- so thank
14 you for the introduction and thank you for the
15 invitation to come speak. Remind me again how much
16 time I have. I tend to jabber on.

17 STEPHANIE JARMUL: 25 minutes, but we can
18 be a bit lenient.

19 DR. KIM ANDERSON: Don't tell an Italian
20 woman that. So today, I'd just like to share a
21 little bit at a high level about some of the things
22 we've been doing with silicone wristband and general
23 passive sampling, some background about you know, the
24 technique itself, the application and how we've
25 applied it.

1 So I think it'll overlap really well with
2 some of the presentations this morning. I don't
3 doubt I have to tell folks here that sometimes
4 stationary monitors are a poor estimate for personal
5 chemical exposure, and that's really where my
6 interest stemmed from. I've made many different
7 types of stationary monitors for fit for purpose of
8 understanding bioavailability and different chemical
9 classes.

10 But it was really the connection between
11 stationary monitors and the individual exposure that
12 got me interested in trying to design something that
13 could be worn by an individual because there is kind
14 of this unknown at the time. But -- we highly
15 suspected that stationary monitors might not be a
16 good estimate.

17 So we started looking at personal
18 samplers and I've worked in the passive sampling with
19 different kinds of polymer carbon polymers and
20 silicone polymers. And we eventually ended up on the
21 wristband again trying to understand the environment
22 and the chemicals in the environment as an important
23 contributor to disease in humans. So sort of where
24 my interests lie in trying to understand developing
25 this technology.

1 So with that we tried to build a sampler
2 with purpose. Not to solve all problems, but to
3 solve a slice. And one of those being quantifying
4 bioavailability. From my work in environmental tox
5 and environmental chemistry, the use of passive
6 sampling, different types of carbon polymers and
7 silicone polymers was to try to capture from the
8 environment the bioavailable fraction, whether that
9 be in waters or sediments or the air, was trying to
10 understand the difference between what is there and
11 what is biologically available from the exposure
12 side.

13 So lots, many people before me, obviously
14 we stand on the shoulders of many, have developed
15 passive samplers to try to take up that space and try
16 to develop different kinds of polymers that would,
17 you know, very, roughly mimic biology. And so that's
18 sort of where my history came from, and I brought
19 that history from the environmental side into under
20 -- trying to develop something for that people could
21 wear or, and we eventually expanded that beyond
22 people, but companion animals and so forth.

23 So the passive sampler has both
24 lipophilic, meaning fat-loving nature, and pore sizes
25 that are quite close to a cell membrane. And so just

1 trying to bridge that gap a little bit between what's
2 in the environment and what is actually an exposure.
3 So as I'm -- we developed the passive sampler in the
4 -- in the two thousands late two thousands. And then
5 we eventually published that and that sort of started
6 the ball rolling with the silicone wristband.

7 And in general, the approach of putting
8 these passive samplers on folks. So the idea also
9 was fit for purpose. So build a passive sampler or
10 build a sampler that people could wear. We want to
11 actually have a lot of the questions that you all
12 will probably ask me at some point this afternoon
13 about how do we know this? How do we know that? We
14 wanted to really do all that as much as possible
15 leading up to our present -- our publication. A lot
16 of times different kinds of chemicals are not always
17 tested in the matrix. They're collected. Like for
18 instance, how long can you keep chemical X in urine
19 at temperature X, right? If there's kind of someone
20 had to do those work.

21 But when you build a brand new
22 technology, in this case a silicone wristband, we had
23 to do that. So we had to do, you know, what is --
24 what is the testing that's necessary, which is often
25 called storage -- transport and storage stability.

1 So we tried to do all that because it's important to
2 understand the application of the technology.

3 First and foremost, what we wanted to do
4 was make something that was connected to the
5 bioavailability, right? We wanted to get that
6 fraction from the environment, and we wanted it to be
7 on the individual. We already have great monitors
8 for doing stationary monitoring and lots of choices
9 there. What we wanted to do is get something on the
10 individual that was easy to use, didn't require
11 power. It's one of the downsides of some of the
12 technology. So we wanted it to be power free and
13 something that would be easy to wear during all of
14 life. So whether that's, you know, sleeping or doing
15 your everyday activities. And so those were some of
16 the reasons why you know, our goals of the passive
17 sampler.

18 This is one of our first studies on
19 transport and storage stability. We have some
20 subsequently done more, but the first study out was
21 150, almost a hundred fifty, a hundred forty eight
22 chemicals. And we looked at transporting those
23 samples at various temperatures, storage at various
24 temperatures and what was their stability. And in
25 the end, the short story, you don't have to go into

1 all of these different graphs, but the short story is
2 we can transport at ambient temperature, which was
3 another really important goal of the passive sampling
4 technology, because it is really hard in remote
5 areas, or even not in remote areas, but during times
6 of stress or disaster to have to deal with
7 complicated transport conditions, like minus 80,
8 minus 20.

9 And so really I think that was an
10 important component of the design -- of the passive
11 samplers, was that we'd get something that was easy
12 to transport. So we've subsequently tested these for
13 like many years now. So another attribute was to be
14 able to archive these samples, either as the
15 wristband itself or as the extract. And we've proven
16 that both of those things, once stored at minus 20
17 have really long storage stability study. This was
18 just the first one, which was six months. We've
19 subsequently done other studies extending these out
20 to multiple years. So that was an important
21 component.

22 We also had questions, you know, sort of
23 left field questions like, well, you have a -- you
24 have a sampler, but your wrist is in the sun, and
25 that might degrade something like PAHs. So there was

1 a lot of pushback. Oh, there's going to be UV
2 degradation, turns out that the wristband actually
3 stabilizes these chemicals in ways that we could have
4 predicted. But having the data is certainly
5 important.

6 So we actually stuck the wristbands on
7 top and beat the heck out of them with some UV. And
8 I know it's hard to believe that the sun does come
9 out in Oregon for those in Southern California, but
10 it does. And so you know, we did that study and
11 showed that there were no statistical differences
12 with the PAHs. They were quite stable even if we
13 left them out for days in the sun on reflective
14 surfaces.

15 So the other attribute that we wanted to
16 incorporate ideally, was to be able to look at a lot
17 of chemicals. You know, one of the things we hear
18 back is that there's a type of sampler that's used,
19 and it can only measure one thing that gets to be
20 difficult for those to do study designs because it's
21 so limiting. So it's like, well, can't put, you
22 know, 20 samplers on an individual, or we can't
23 afford probably just as important. We can't afford
24 to put 20 samplers on individuals, but yet we have
25 this interest in a really broad range of chemicals.

1 So one of the attributes of the passive
2 sampling, whether it be a carbon polymer, in this
3 case, the silicone, is that it's applicable to a wide
4 range of chemicals. And I can throw up different
5 kinds of chemical physical properties, and a lot of
6 times it's hard for people to get -- it's even hard
7 for me to get a feel for that. What does that mean?
8 You know, boiling point or log KOA, in this case
9 octanal-air partition.

10 So I just put up as an example, in the
11 case of log octal water partition, we have
12 demonstrated that we can measure chemicals in the
13 wristband over you know, eight log units. Well, what
14 does that mean? If we can measure chemicals over
15 eight log units, how different are those chemicals?
16 So I just kind of use the analogy of temperature
17 water in this case, zero degrees to the temperature
18 at the center of the sun would be seven log units.
19 And this is a very educated audience, so you guys
20 don't need that, but I still think it kind of gives
21 you a sense of how wide the chemistry range is that,
22 that is applicable that we've demonstrated with the
23 wristband.

24 So then it's a question of doing all
25 these things inside the laboratory, but then the real

1 rubber meets the road when you actually do studies.
2 And so we have now done thousands of wristbands in
3 various places that where we've tested with an actual
4 biomonitor with other types of traditional sampling
5 technology in various kinds of communities. And, you
6 know, these are just some pictures of various places
7 we've been. I'm glad to answer questions on any of
8 them. They're all on my website, which I'll identify
9 at the end. And I'm glad to talk about them.

10 But just to kind of give you a sense of
11 the wide applicability and the quick adoption. I
12 mean, new technology usually takes decades to get
13 integrated. It's not like sort of computers which
14 are really quickly integrated. Chemistry technology
15 takes a long time. You have to get everyone on board
16 with how to do the chemistry part and be ready to
17 adopt a new approach and the field. And a lot of
18 times there's resistance to new versus the
19 comfortable.

20 And so really in the last 10 years, it's
21 been pretty amazing how fast this has come along in
22 my view. I guess I was expecting slower. So well,
23 I'll talk about a few of these studies. And again,
24 anyone is welcome during the Q and A to ask me
25 anything as we go on.

1 So the very first study that we did was
2 with roofers, it's an occupational exposure. And so
3 we had roofers, workdays and then we had roofers at a
4 training site. And I guess this really stuck to home
5 for me just how important the individual wristband
6 was for understanding individual exposures.

7 So one of the outcomes of the study was,
8 interestingly enough, the training site in Oregon had
9 higher PAH in the wristbands of those trainees for 40
10 hours and eight hours than the actual roofers did.
11 And so that was kind of interesting and
12 counterintuitive because they're training and they're
13 in this, you know, big, big facility versus, you
14 know, thinking of the -- of a more intimate right on
15 top of someone's roof going, you know, such as this.
16 And so it was kind of surprising. We subsequently
17 learned that in Oregon, the training site, because it
18 does rain here a lot that the training site is
19 roofed. And that roof actually holds the tar fumes
20 in clearly you have what, four times higher PAHs in
21 the wristbands than the outdoor workers.

22 So whereas the outdoor workers, you have
23 this sort of open air component versus the training
24 site has a roof on it, so they don't have to get
25 rained down when they're doing training. But that

1 holds in even though the sides are open. Not a lot
2 of -- there's less movement of the air -- of the air.
3 We've subsequently trained -- looked at military, I'm
4 not going to share that data. I'll be glad to talk
5 about it.

6 So one of the other components with using
7 technology is to get adoption by communities. And in
8 all cases we've had really good enthusiasm about use
9 -- almost too much enthusiasm about using passive
10 samplers. We've looked at children as young as three
11 and community members as old as 93. And so there's
12 -- there has been good adoption and we've actually
13 discovered a lot of things about whether it be flame
14 retardants. And turns out children do have a lot
15 more flame retardants than adults because of their
16 nature, you might of -- the activities.

17 And again, you wouldn't be able to
18 necessarily pick that up if you had a stationary
19 monitor, and of course a lot of complications pulling
20 blood samples from that kind of a population study.
21 This is a study that was done about a decade ago and
22 -- or seven, eight years ago. And this was where we
23 had a very small, tight community in Ohio, and we had
24 stationary monitors all over the place.

25 But then we also had community members

1 wearing wristbands. It's kind of a classic example
2 now of where we've shown that the stationary monitors
3 are not really a great reflection of the individuals.
4 And so in this case, our stationary monitors whether
5 there was a well -- a natural gas fracking well on
6 the property, much higher, just as you expect those
7 that have one sort of adjacent as a neighbor and then
8 none.

9 So kind of a typical stationary monitor.
10 You know, we had concentric circles around various
11 places. And what we found though, with the
12 wristbands on the graph on the right is that -- well,
13 there is a -- an association here clearly between the
14 stationary monitors and the wristbands. You see that
15 there is in fact some underestimates and
16 overestimates on the individuals. And this is a
17 pretty small study.

18 So -- and each are -- have their own,
19 both underestimating and overestimating risk are
20 equally bad. And so an example of where knowing
21 these individual exposures are important, and this is
22 just PAHs and in a very, very small community, as an
23 example.

24 The use of the wristbands we have found
25 have been really nicely accepted by many communities.

1 We did a study I think it was in 2015. We had been
2 in the Senegal community for about a decade. And so
3 we had done all these exchanges back and forth. And
4 so these folks knew about the wristband because we've
5 been working on them in the laboratory, and they were
6 -- they wanted to be one of the first to use the
7 wristbands, which is -- which is very sweet and nice
8 because they're wonderful group to work with. It's a
9 very small community and a lot of the folks in the
10 community have similar jobs. And we actually also
11 had people from the same household in the community.

12 So it's a small study, one of the first
13 ones that we did. And we had folks in the community
14 wear a wristband, two different periods, five days
15 each and what was interesting, and of course all of
16 the adjacent types of questions and so forth. And so
17 we had 35 folks. And what you can see on the graph
18 on the left is that all 35 of them are different. So
19 even though we have people with the exact same jobs
20 working in the same fields, even and we have some
21 people who are in the same households, but different
22 jobs, all 35 were different.

23 So it's kind of another example too of
24 understanding the exposures at a community level
25 really are individual and I guess viva a difference,

1 right? I mean, I would like to think that I'm
2 individual and then that's a good thing and to be
3 celebrated. And -- but then when we're trying to
4 understand exposures and chemistries of exposures,
5 then that makes it harder. But the wristband
6 certainly can help.

7 The other part of this little study was
8 that we had them wear them from two different periods
9 of time. And we found that within a given period of
10 time that you were very much like yourself while you
11 were different than the other person that lived in
12 your home, or you were different than the other
13 person that worked nearby you in another agricultural
14 field, you yourself were very much like yourself week
15 to week. And that sort of made sense after we had
16 the data because well, my husband and I have the same
17 -- we share the same household. He starts -- you
18 know, he's goes to a different job than I do, but I
19 -- you know, I start off my morning making my coffee
20 and I come to campus, I drink my coffee and meet some
21 people, and then I go take my dogs for a walk and
22 then I make some dinner. And I -- you know, that --
23 whether that's a Monday one week or a Monday another
24 week, that's very similar.

25 And so what that tells me is that, you

1 know we tend to have the same exposures. Our life is
2 kind of, you know, has some similarities, but we're
3 very different even with other people in our
4 communities. I guess in hindsight, maybe that was a
5 duh for a lot of people, but I found it quite
6 interesting that here we are with the chemistry and
7 that that's what that is saying.

8 And so from that study we detected 26
9 different pesticides. And you can see the -- again,
10 going to chem phys properties, there was a really
11 wide range of pesticides in folks' wristbands.
12 Everything from dimethoate and bifenthrin. We saw
13 anywhere between two and 10 pesticides. And from the
14 questionnaires, all pesticides reported by the
15 participants that they had used or were in fields
16 that had been used in their fields that they were
17 working in were found, that's a good thing.

18 But what was the companion to that were
19 that we found 19 pesticides in their wristbands that
20 hadn't been reported by participants. So the good of
21 questionnaires and I guess the bad of questionnaires,
22 all in -- all in one little baby study.

23 So understanding chemical exposures I
24 think in an ideal world, we'd have biomarkers for
25 every chemical, but we don't live yet in that ideal

1 world. And we're a long, long ways from that world.
2 So all chemicals do in -- do not, in fact have a
3 clear link to an internal biomarker. So while that
4 might be a gold standard, it's not a current standard
5 that we can achieve, but we still want to understand
6 our chemical exposures, and we certainly want to try
7 to do interventions where possible when we do
8 understand what those exposures are.

9 And those interventions are not going to
10 be off of a biomarker either. Those policies and
11 regulations are going to be based on some kind of
12 chemical exposure on the external exposure. You're
13 not going to see a regulation based on a biomarker in
14 a person's blood for all the reasons that I list.

15 So there's space. It doesn't mean that
16 biomarkers don't have super important space in
17 understanding chemical exposures and health effects,
18 but there's still space for understanding that
19 external exposure, which is the -- you know, the
20 space that the chemical -- that the chemical silicone
21 wristband sets.

22 Small study again, one of our early
23 studies looking at DNA damage and pesticides and
24 wristbands, and we did find an association, but in
25 children in North Carolina. So I think you saw an

1 awful lot of data on PAHs earlier. So this just kind
2 of reiterate some of that data. We have urine data
3 with polyurethane foam, samplers, urine metabolites
4 with polyurethane foam, whether filtered or
5 unfiltered. And then we have the urine metabolites
6 with the wristbands. And what we found in this study
7 was that the wristbands did seem to have more
8 positive significant correlations between the urine
9 PAH and the -- and the wristband, than the PUFs with
10 or without filters.

11 So there's a place, you know, I just
12 personally like to have more tools in my shop than
13 fewer tools. And then I pick the right tool for the
14 job. So there's certainly a place for the backpack
15 PUF. But then there's also a place for the
16 wristband. So I guess I collect tools, so this seems
17 to be one that would have value. And hopefully you
18 folks can see some of those things.

19 So how do the role of silicone wristbands
20 and biomonitoring? So we have now expanded our
21 studies with children, as I mentioned everything --
22 every age group from three to 93, we've also put the
23 silicone wristbands on cats, and we've looked at
24 hypothyroid, both flame retardants and other, we have
25 a screen with about 300 endocrine disrupting

1 chemicals. And so one of the nice things about the
2 silicone samplers is their ability to archive.

3 So we have sample archived and we can go
4 back and now look at, as we develop additional
5 methods for looking at the wristband, we can now use
6 those methods to determine other additional
7 hypotheses. So you know, just kind of trying to wrap
8 up here in the next few minutes, we've applied these
9 to many different places. We look -- as I mentioned,
10 a whole host of types of chemicals from different
11 chemical classes to different uses of chemicals like
12 personal care products.

13 And we've -- have had done everything
14 from the Arctic to Antarctic and this little -- this
15 study, which has only about 250 people, but from all
16 over we see the same kind of thing we saw in Africa,
17 which is that no two individuals had the same
18 chemical detection profile. With that said we did
19 see that there were many chemicals that were common.

20 So, you know, whether it's phthalate or
21 we have 90 percent detected in all those different
22 places or a fragrance compound. We do see some
23 similar chemicals at very high frequency rates in
24 these wristbands, some of which have had little
25 study. And I think that's an interesting component

1 that we can bring with the technology.

2 Finally now since I'm going through this
3 myself, the role of the wristband in biomonitoring
4 and environmental disasters where this is wildfire
5 disasters first responders, we have had many
6 firefighter studies and structural firefighters now
7 with wristbands as well as community members. We've
8 had the wristbands in trained derailments, cleanup
9 crews, assistant science focus projects, flooding,
10 hurricanes.

11 So quite a few different ways. And I
12 think part of that whole piece of being ready for a
13 disasters is the -- it lends itself well to the
14 wristband because there isn't a lot of like, oh, we
15 have to ship this on dry ice, right? That's not
16 going to happen when there's no power in Houston for
17 a week due to Hurricane Harvey. And also the breadth
18 of chemicals. I mean, I quoted the Houston Health
19 Department saying there are millions of contaminants,
20 maybe yes, maybe no.

21 But what you can for sure say is that in
22 any given disaster in a complex mega city like
23 Houston is that you won't know ahead of time what are
24 going to be the important chemicals that you should
25 be looking for. And a technology that can grab lots

1 of different chemical classes is going to have value.
2 I think that's part of what we can bring.

3 So with that, just sort of wrapping up,
4 what are the limitations? I haven't listed all of
5 them, but they are on my frequently asked question
6 page. A few of them that I'll go through. These are
7 organic chemicals. They're not PM 2.5. We clean the
8 particulates off them. They're not form metals, so
9 we're not going to find Chrome-6. They are time
10 integrated. They're not real time. You do have to
11 take them back to the lab. So one of the questions I
12 used to get, do they change colors? They do not
13 change colors. But we -- you know, they do have to
14 go back to the laboratory.

15 Where are we with that turnaround time to
16 real time? Right now we have a purge and trap method
17 for VOCs, for the wristbands. And so from the time
18 you drop the wristband off to the, when I can give
19 you a result, if I'm -- if I'm already got the purge
20 and trap running, I can give you a result the next
21 hour. That's not real time. In a two week period,
22 we actually analyzed 1000 wristbands, not real time,
23 but in my world, that's pretty good. We have worn
24 the wristband for as little as eight minutes in a
25 firefighter demonstration piece, and we were able to

1 detect PAHs.

2 However, in that sort of, that's a
3 contrived situation, I would say that the samplers
4 should be worn for a few hours. I like seven days
5 just because I get a workday and a weekend to
6 understand your total exposures, but they could be
7 worn for a month, they could be worn for multiple
8 months. They are an external exposure, obviously.
9 And an independent measure. And I'll probably stop
10 there.

11 There's a lot of -- there's a lot of
12 limitations. Don't try to hide from them. Again, I
13 just feel like it's a tool that you should, that as a
14 -- someone who's interested in exposure science would
15 want to learn about. I will point out that my
16 management plan over here on the far left requires
17 that I give a disclosure on my acknowledgement pages.
18 I realize from your folks that normally you would
19 give that on the front page, but I was not able to
20 get through my management plan. I'm sure they
21 would've approved it, but I'd rather stick with my
22 management plan than the -- than the SOP.

23 So, here's my acknowledgement that I have
24 a conflict of interest that OSU manages and lots of
25 people to thank too many to go through, but at this

1 point I am think I'm at my 30 minutes. So I will
2 stop there and answer any questions or wait till the
3 **Q and A period.**

4 ACTING CHAIR CUSHING: Thank you so much,
5 Kim. So we'll take 15 minutes for questions now, and
6 we'll have a longer discussion period to talk more
7 with Dr. Anderson after the next presentation. But
8 let's start with any questions now for 15 minutes.
9 Anyone has one? Yeah, go ahead, Jenny.

10 PANEL MEMBER QUINTANA: Hi, Kim. Thank
11 you for that. Jenny Quintana at San Diego State
12 University. You've talked a lot about what a great
13 tool that wristbands are. Mostly you're presenting
14 worn wristbands as well as the pet one with a little
15 hanging pet tag.

16 DR. KIM ANDERSON: Yeah.

17 PANEL MEMBER QUINTANA: But I recently,
18 we've been hanging them in the air, mostly for
19 thirdhand smoke or tobacco related issues, but also
20 for other air pollutants in environmental justice
21 communities. I'm just wondering if you could just
22 briefly comment on the utility, just hanging them up
23 on a outside the environment.

24 DR. KIM ANDERSON: Yeah I get that
25 question a lot. Thank you for asking. So we've --

1 we have put them on cats, dogs, and horses so far.
2 So just to kind of finish that thought. I'm not a
3 big fan actually of hanging them in the environment
4 or hanging them on a tree or something.

5 And the reason is most folks would like
6 to calculate an air concentration, and right now I
7 don't have all of those calculations ready to give
8 you. We're working on them in the lab right now, so
9 you are going to be able to tell what is in the
10 wristband, but you're not going to be able to
11 calculate that back to an air concentration.

12 So if you were interested in pesticides
13 or PAHs, there are other samplers available to you
14 that you would be able to calculate an air
15 concentration back to. So I usually like to direct
16 people to those. 3M has some, there's other people,
17 I mean, we use other passive samplers so that we can,
18 again, get that air concentration. So you'll only --
19 yeah, I'll just stop there and you can have a follow
20 up or not.

21 PANEL MEMBER QUINTANA: So thank you for
22 that. Yeah, I think that if one's looking for the
23 presence or absence of compounds, such as with
24 non-targeted, sometimes they can have a different
25 pattern, you know, so that's interesting. And it's

1 amazing to me even semi quantitatively com -- not
2 worrying, not worrying about what the actual air
3 concentration is, but comparing, let's say indoor
4 environments to each other. Like you can actually
5 relate that to behavior in the home. Thank you.

6 DR. KIM ANDERSON: Yeah. So you can do
7 that also with the other samplers. You can do -- we
8 do semi targeted, and then we all a colleague of ours
9 does non-targeted. You could do that with those
10 other samplers too. So you're not relegated to those
11 quant methods.

12 But yeah, you wouldn't -- necessarily
13 calculate back from a non-targeted method to an air
14 concentration. Still kind of feel like there's more
15 known about those other samplers than the wristband
16 as far as an air sampler. And not every commercial
17 laboratory knows how to deal with the silicone
18 sampler. So just, that's a -- that's sort of another
19 caveat. I saw another hand. Go ahead.

20 ACTING CHAIR CUSHING: Oliver has his
21 hand up. Oliver, do you want to ask a question.

22 PANEL MEMBER FIEHN: Thank you very much
23 for your presentation, Dr. Anderson this is really
24 enlightening and it's I feel your pain when you said
25 you have to -- or joy when you say you had to

1 validate every single question yourself and, you know
2 the duration and the storage and the -- you know, the
3 do's and the don'ts, and that's great.

4 Now, there's been a couple of years now
5 that these many years I'd say that the wristbands are
6 out, and I wonder what's the adoption in the field?
7 Because of course, the more studies are there on
8 wristbands, the more people will like it and, you
9 know, apply it.

10 But, you know, is there anything similar
11 to NHANES or other large scale studies where, you
12 know, they almost become authoritative, where at some
13 point people say, yeah, you got to have it, you can't
14 just rely on, say, urine and whatnot, but you have to
15 have the response. What is your take on the adoption
16 in the field?

17 DR. KIM ANDERSON: Yeah, so I think
18 there's about 150 publications only, like 20 or 30
19 are mine. So I would say from an academic
20 standpoint, there's good adoption because it -- you
21 know, it was a pretty slow rollout. I mean, I was by
22 myself essentially in the first few years, sort of,
23 you know talking about these and probably talking
24 about them to -- in communities that weren't
25 necessarily the early adopters as far as I wasn't

1 going to the ISES meeting, you know, initially.

2 So I still think it's -- I think it's
3 being accepted by the academic community really
4 quickly. The military seems very keen on adoption,
5 so I think that's interesting. You bring up
6 something very near and dear to my heart. But I have
7 not been able to break through, which is NHANES. I
8 think you are absolutely right that if it were put
9 into the NHANES, and it's perfect for NHANES because,
10 you know, they end up archiving so much and not
11 necessarily doing all the testing on everything they
12 collect.

13 And this particular technology archives
14 really well for future interest. I think that's
15 right. I would like to get this in NHANES as a
16 technology. And then I think, yeah, then you've made
17 -- you've made it to the big times as it were. That
18 process, I keep ping-ponging through that process and it's
19 a -- it's, there's some bureaucracy there, and that's
20 probably not my best gig, but you know, I just agree
21 with, I agree a hundred percent with you. When you
22 make it to the, to being in something like NHANES,
23 then that's just it.

24 Not sure how to complete that circle, but
25 I feel like the more people who use it, like I said,

1 there's about 150 pubs and I'm really surprised how
2 many are coming from all different places on the
3 planet that it is making lots of headway in the
4 space, in certain space. And, you know, there's a
5 certain amount of it's not ownership, but it's also
6 -- but it's like, I really want to emphasize using it
7 in its fit for purpose, because if it is not used in
8 its fit for purpose and people misuse it, then that's
9 going to give it a bad wrap.

10 But that's because they're not really
11 using it for its -- you know, in the way it was
12 intended. So I do like to get out and say like, this
13 is where it's -- that's this is the really good lane
14 that it's in. Be careful over here because then, you
15 know, it's not really what it was intended for. So
16 there is probably too much passion on my part to make
17 sure it gets used properly. But yeah, I totally
18 agree with you.

19 ACTING CHAIR CUSHING: Let me check if
20 there's any questions that have come in online,
21 Rebecca.

22 REBECCA BELLOSO: We do have a question
23 from Jeff Wagner. Jeff, would you like to ask your
24 question.

25 DR. JEFF WAGNER: Sure. Thank you. Jeff

1 Wagner from CDPH. I was curious if you've done work
2 with field replicates, say one bracelet on each
3 wrist, maybe from the same individual and looked at
4 like CVs or even common chemicals detected or not
5 detected.

6 DR. KIM ANDERSON: Yeah. So actually in
7 the very first study we did with roofers we put it on
8 both wristbands. And you see a difference in roofers
9 because they preferentially used their dominant hand
10 versus their less dominant. And it didn't really
11 matter for the certain work type. So depending on
12 the roofer's job if the roofer was -- I forget all
13 the names of the roofers now, their job titles, but
14 if they were like pushing the stuff on the roof there
15 wasn't really any difference. But the guy who was --
16 and it was a gentleman, the guy who tended the pot
17 where all the Cresol was, his dominant hand, which
18 was closer into the pot, had higher PAHs than his
19 non-dominant hand.

20 Yes, we do it all the time internally and
21 in studies where people wear three, four, or five
22 wristbands, it's a pretty common thing for us in all
23 of these studies that we load up each other with a
24 lot of wristbands as we're doing these things.
25 Probably 50 percent of all the samples I run in my

1 laboratory are quality control. I'm actually a good
2 laboratory practices facility, gone through multiple
3 audits, both for EPA and FEMA and private.

4 So -- and I -- and I actually have taught
5 classes on GLP back in the day when I did a lot of
6 pesticide reregistration. So we're pretty heavy,
7 probably too much, so on quality assurance. So
8 there's an -- everything in my lab is pretty heavy in
9 the -- in the quality assurance. I've had a quality
10 assurance program plan, like I said, I brought with
11 me in 1999. As I spent 10 years in a -- in a QA lab
12 prior to coming here. So lots of replicates, lots of
13 over spikes of every kind, lots of labeled compounds
14 for recoveries, both surrogates internals and, and
15 other QC samples throughout the process.

16 DR. JEFF WAGNER: That's great
17 information, thank you.

18 DR. KIM ANDERSON: Field trips, trip
19 blanks, both every study every time.

20 ACTING CHAIR CUSHING: Did you want to
21 ask? Okay, let me take one more question, I think,
22 and then we'll move to the next speaker.

23 DR. KATHLEEN ATTFIELD: Hello, Kathleen
24 Attfield from CDPH Biomonitoring California. So I
25 want to press you on your earlier point. What advice

1 would you give to our Program if we were to use the
2 wristbands as far as avoiding the missteps? So
3 avoiding the ways that you could use these and maybe
4 not learn what you think you're learning from them.

5 DR. KIM ANDERSON: Yeah, I think that
6 lots of easy things to recruit there. Recruitment is
7 easy. The consenting is easy. Getting people to
8 wear them is usually pretty easy. I think we did
9 have one 3-year-old who kept biting the wristband,
10 but assuming that you have something three or older,
11 I think until we release this paper we're working on
12 for what's called performance reference compounds, I
13 would design the study that everyone wears them the
14 same amount of time. I think that's an important
15 component until we have our PRCs worked out so that
16 you can compare one count.

17 So you can compare bifenthrin with
18 participant one and participant 351. So bifenthrin,
19 bifenthrin. Some, a lot of the things are the
20 interpretation. So again, until we get the PRCs, I
21 think that performance reference compounds, those are
22 usually labeled compounds or non-natives. That's an
23 important component. Is the study design set up so
24 that you have everyone wearing it, nominally the same
25 amount of time. I -- as I mentioned, I like to have

1 people wear it workday and weekend because I think
2 their -- a lot of people's weekends looks different
3 from an exposure standpoint than their weekdays.

4 I've done a lot of studies with
5 indoor/outdoor samplers and the wristbands. That's
6 always interesting. Takeaway indoor air is terrible
7 which you all probably know more than most audiences.
8 I think that's the biggest. And then recognizing
9 what you can't do. So, you know, you can't do PM
10 2.5, you can't do metals. I think the length of
11 deployment is important and the continuity of that is
12 important. That's probably one of the things I
13 always try to stress when people use the wristband.

14 STEPHANIE JARMUL: And this is Stephanie
15 Jarmul, I just have a really quick follow up. In
16 terms of comparing similar time points, how exact do
17 you think they need to be? Could you compare a 24
18 hour sample with a 36 hour sample, or does it need to
19 be plus or minus a few hours.

20 DR. KIM ANDERSON: Yeah. So that one's
21 probably harder on the chemicals that are more
22 quickly taken up by the wristband. So if you were
23 looking at 1,3-trimethylbenzene, that one might be
24 harder to compare a 24 hour with the 36 hour. But if
25 you were looking at phenanthrene or a flame

1 retardant, probably not so much because those are
2 pretty similar times. But the quicker -- the quicker
3 the analyte comes to equilibrium, the more important
4 it is that the times be closer together.

5 So if you're looking for PAHs so that's
6 naphthalene and above, you know, the difference
7 between six days and 12 hours and seven days, not so
8 much of a difference is what we've seen in and even
9 in through our mock calculations. But that would be
10 different if it were 24 hours and 12 hours with
11 toluene, there would be a difference probably. Does
12 that answer your question?

13 STEPHANIE JARMUL: Yes, thank you.

14 DR. KIM ANDERSON: If not, then just
15 shoot me an e-mail. Anyone have any follow up
16 questions, you're welcome to e-mail me.

17 ACTING CHAIR CUSHING: Fantastic. Thank
18 you, Kim. Okay. I think we're at time, so we should
19 move to our next speaker. But we have Kim for the
20 discussion section as well; is that right? Are you
21 able to stay on for the.

22 DR. KIM ANDERSON: Yeah, I mean, right
23 now I'm under a mandatory evacuation and there are.

24 ACTING CHAIR CUSHING: Oh dear.

25 DR. KIM ANDERSON: Yeah, thank you. For

1 wildfire. And they're saying they might let us back
2 in because we went from code one to code three. We
3 skipped code two so we had to get out within 10
4 minutes and I didn't have everything packed. So yeah
5 -- it's okay.

6 We're -- our house is still standing and
7 they're making good progress, but if I do get a
8 notice that they open the road so we can go, I might
9 leave, but I'm not optimistic that's going to happen.
10 But I don't want to be rude. But I do have my great
11 grandmother's dining table that I would really like
12 to get out if I may.

13 ACTING CHAIR CUSHING: Okay. Well, we're
14 hoping that does happen then. Sorry to hear about
15 the evacuation.

16 Okay. So our next presentation is from
17 Heather Stapleton. Dr. Stapleton is an environmental
18 chemist and exposure scientist in the Nicholas School
19 of the Environment at Duke University. And her
20 research interests focus on the identification of
21 halogenated and organophosphate chemicals in building
22 materials, furnishings and consumer products and
23 estimation of human exposure, particularly in
24 vulnerable populations such as pregnant women,
25 children and firefighters.

1 She currently serves as the director for
2 the Duke Superfund Research Center and director of
3 the North Carolina Firefighter Cancer Cohort Study.
4 Today she will give a presentation on the strengths
5 and limitations of silicone wristbands in assessing
6 personal chemical exposure. Welcome.

7 DR. HEATHER STAPLETON: Great. Thank
8 you. Can you hear me okay.

9 ACTING CHAIR CUSHING: Yes, we can hear
10 you great.

11 DR. HEATHER STAPLETON: Great. I will
12 bring up my slides here. Can you confirm that you
13 can see them or is it this notes section.

14 ACTING CHAIR CUSHING: We see your
15 slides.

16 DR. HEATHER STAPLETON: That's fine.
17 Okay, great. Well, thank you for that introduction
18 and I'm happy to be here to talk about some of the
19 work that we've been doing in our lab using silicone
20 wristbands. It's really follow up to the great work
21 that Kim has done and just explained to you in the
22 previous presentation.

23 So conflicts of interest, I really have
24 no major conflicts of interest. I will just state
25 that I am a science advisor for the San Francisco

1 Estuary Institute on their emerging contaminants work
2 group. And all of my funding sources are listed
3 here. Right. So one of the reasons I'm really
4 interested in using the wristbands is because I'm
5 really interested in exposure science but
6 particularly this concept of the exposome, right?
7 Which the exposome as defined seeks to assess the
8 totality of exposures over the life course and
9 understand how these combined stressors impact
10 health.

11 But the exposome is very, very
12 complicated, as you can see from this diagram, from
13 Roel Vermeulen's paper in 2020. It's multifaceted.
14 It's not just chemical exposures, it's, you know,
15 social lifestyle, physical chemical factors, et
16 cetera.

17 But it's this concept of trying to
18 understand exposure over time. That's really
19 interesting to me and how it applies or how we can
20 use wearables to support this because, you know, a
21 lot of prospective epi studies, you're getting maybe
22 a biological sample once a year, once every two
23 years. But our exposures change quite a bit over
24 time. And I think wearables have an ability to help
25 us understand exposure over time and patterns of

1 exposure, particularly as it relates to our
2 behaviors, you know, our built environment, consumer
3 products, our occupations, et cetera.

4 And as I know Dr. Anderson already
5 explained you know, silicone wristbands have their
6 strengths, they have some limitations I think based
7 on the state of the science, the data suggests that
8 they are capturing chemicals in which exposures are
9 occurring via inhalation and through dermal exposure.

10 And then I have this question about
11 whether it's capturing chemicals that may be the
12 exposure route is inadvertent dust ingestion,
13 particularly in children. I think we have some data
14 suggesting that is possible, but I think that needs
15 more work for sure. And obviously we're not
16 capturing any kind of dietary exposure. That could
17 be a strength or it could be a limitation. It really
18 depends on your question, right? And we know that in
19 general, chemicals accumulate initially in a linear
20 fashion and then eventually they reach this
21 equilibrium portion. We do try in our studies to
22 keep within that linear uptake phase. And in our
23 case we do normalize to deployment periods.

24 What's great about them is that they can
25 integrate your exposure in all the different

1 microenvironments that you spend time, if that is
2 your question, right? Because we know our exposures
3 are very different at home versus maybe commuting in
4 your car or on the subway or in your work
5 environment. So what's great is they go everywhere
6 with you and then they're integrating that exposure
7 that you're -- that you're receiving in all those
8 different microenvironments.

9 But maybe your question is really what's
10 just your exposure in your occupational setting and
11 then they have utility in that application as well
12 because you can just have someone wear them just
13 while they're working to isolate that exposure, which
14 can be difficult by relying on biological samples
15 because you can't disentangle what portion of the
16 measurement internally is from your diet versus the
17 ambient environment.

18 So what I hope to do in the next 20, 25
19 minutes here is kind of go over some of the questions
20 that we've gotten a lot in terms of how well do they
21 correlate with internal dose, how long do you wear
22 them, can children wear them? I know that Dr.
23 Anderson covered some of these already really well.
24 Is there variability around the wristband? I know
25 that question came up, we have some data on that.

1 And then I was going to talk about one of
2 our studies with wristbands which is with
3 firefighters, kind of showing you how we've been
4 using them, what type of questions we're asking and
5 trying to answer. And then I'll just close with some
6 strengths and limitations.

7 So let me just start with how we are
8 using the wristbands in our lab. This is a picture
9 of our wristband kit. We have these Mylar bags that
10 are resealable. It has a label on it for the
11 participant's Id. And then we ask participants to,
12 you know, record the date and time they put it on and
13 the date and time they take it off. And we also send
14 them a YouTube video that shows them how they should
15 be wearing it and recording this information. It's a
16 really quick three minute video. Inside this bag is
17 an aluminum tin with a screw top lid. And the
18 wristband is inside.

19 So when they're done wearing it, they put
20 it back in the tin, they put it back in the Mylar
21 bag. They either give it to one of our study
22 managers or they mail it back. Sometimes we provide
23 self-addressed envelopes. We get them in the lab and
24 we store them in the freezer until we analyze them.
25 And we are only analyzing a very small part of the

1 wristband. It's about 0.7 grams, one fifth of the
2 wristband. So plenty to archive. This is -- I know
3 this is a complicated side, but this is kind of an
4 overview of the approach we're using. We do buy
5 these in bulk and we clean them. Historically, we
6 were cleaning them with the solvent extraction and
7 the sock slits.

8 But we have moved to a heat cleaning
9 method where it just gets us away from solvents,
10 hazardous solvents and allows us to do more at one
11 time. So they're cleaned under high heat, under
12 vacuum with nitrogen purging to kind of remove
13 particularly siloxane residuals that are in those
14 wristbands. And then we keep them in airtight
15 containers until they're deployed. We store them in
16 the freezer after collection.

17 And then for analysis, we do have
18 different panels that we use depending on what the
19 study is and what the target chemicals are of
20 interest. Most of our panels use GC high resolution
21 mass spectrometry. We have three Orbitrap systems
22 that are operated in different modes to be sensitive
23 to different chemicals. What we do is we take that
24 small piece of wristband and we extract it using
25 sonication, and then we do conduct a dispersive

1 florisil cleanup to remove some lipids, things like
2 squalence that sometimes get on the wristbands to
3 purify that extract a little bit.

4 But then we take that extract and we can
5 inject it into all three of these mass spectrometers
6 to collect a wide range of data. We have our
7 workhorse on the left, which is our Q Exactive that's
8 operated in electron impact mode. And we perform
9 both a targeted and non-targeted analysis in the same
10 run with the same method.

11 So we run calibration standards for all
12 113 chemicals that you can see here on the left,
13 which span flame retardants to pesticides, the PAHs,
14 combustion byproducts, industrial chemicals, et
15 cetera. And we support non-target at the same time.
16 And I'll mention that briefly, but then we can take
17 that extract and run it on our exactive system that's
18 set up in negative chemical ionization mode. That
19 allows us to get these high molecular weight BFRs,
20 which can be difficult to measure unless you have a
21 very short, thin column with a specific type of
22 inlet. Makes it more sensitive. And we also measure
23 dioxins and furans in that method.

24 And then we can take that extract and
25 also run it in our -- we have an Explorers Orbitrap,

1 which is set up in positive chemical ionization mode,
2 which is more sensitive for some of these volatile
3 PFAS that are of interest for some of our studies.
4 So that's a wide panel. It gives us -- it collects
5 data of about 170 different chemicals in total.

6 But sometimes we have interest in
7 measuring non-volatile PFAS, like PFOA or PFAS, or
8 parabens triclosan. In that case, we will take a
9 separate piece of the wristband extract in methanol
10 and analyze it via an Agilent triple quad LCMS using
11 isotope dilution.

12 Now I just mentioned we do have this
13 non-targeted method we also apply. This was
14 developed by a former postdoc, Nick Herkert. When we
15 run these samples for both targeted and non-target it
16 collects a full spectrum all the features or
17 chemicals that are identified.

18 So we use our vendor software to pull
19 that data out. We use their deconvolution program
20 that also does alignment of the peaks and library
21 matching. We have three libraries for mass spectral
22 matching, the NIST mass spectral library, Thermo
23 Fishers high resolution library, and an in-house
24 library that we've been curating. That data is then
25 exported with a custom R script that we developed to

1 do some standard QA/QC procedures, mainly blank
2 subtraction and normalization to internal standards.

3 And then we pull in data from online
4 resources, particularly PubChem, CPCat, and that's
5 data is used in our algorithm to rank these features
6 in their annotations as likely matches. And so then
7 we can develop a list of annotations for each feature
8 in our workflow. And then we visualize these with
9 some volcano plots. And I have a few volcano plots,
10 that I'll show you here shortly.

11 So let me just start with these questions
12 about how well do they correlate with internal dose.
13 That's a question we receive often. So we've done
14 several different pilot scale studies to look at
15 correlations with internal dose. The publications
16 are all listed here and all of these studies we had
17 these -- some of these are children, some of these
18 are adults, anywhere from 30 to seven people wear a
19 wristband for five days.

20 And we would ask those participants to
21 collect their first morning void urine samples on
22 days one, three, and five. And we pooled them and
23 that pooled urine sample was analyzed for the
24 standard biomarker of exposure, the specific
25 metabolite for each of these compounds.

1 So on the left, you see chlorinated tris
2 or TDCPP was well correlated with its metabolite in
3 urine, BDCIPP. In the middle, that's benzyl butyl
4 phthalate, right? A phthalate that's common in
5 things like vinyl flooring and other plastic
6 products.

7 And on the right is DEET the insecticide.
8 I know that Dr. Anderson mentioned this was one that
9 was really surprising to me. Not only was it a very
10 strong correlation, you can see here of 0.92, that
11 data actually came from our non-targeted analysis and
12 not our targeted analysis. So what you're looking at
13 there on the x-axis are actually the normalized area
14 counts. It's a semi-quant method, but it was nicely
15 correlated with the urinary metabolite, which is a
16 targeted analysis that was performed by Antonio
17 Calafat's Group at the CDC.

18 So that was really exciting for us that
19 we could see that even this -- the non-targeted data
20 is providing reliable, robust measurements for some
21 of these chemicals. Now these are all chemicals with
22 short half-lives. We wanted to look at chemicals
23 that had long half lives. So we did some other
24 studies with brominated flame retardants and namely
25 PBDEs. The one on the left is from adults. The one

1 on the right is from children. So you can see that
2 BDE-47 has a half life of about 1.8 years. This is
3 what it's estimated at. It was correlated with blood
4 serum levels of BDE-47. And this pilot study we
5 conducted booster samples collected in 2016. It was
6 correlation coefficient about 0.52. There's
7 definitely some variability there.

8 But given how long this chemical is in
9 the blood, it was really nice to see that just
10 wearing it for, in this case that was seven days, did
11 correlate with the blood levels, probably because
12 most of our exposure to these compounds does occur in
13 the indoor environment. And most of these people did
14 live in the same home for the last couple of years.

15 And then on the right you have BDE-209,
16 which is estimated to have a half-life of about two
17 weeks. This was a smaller number of children, ages
18 four to six that wore this. But we did have a really
19 nice correlation. So this was really exciting for
20 us. And this is where I said I wonder if this is
21 capturing chemicals that are exposures through
22 inadvertent dust ingestion. Because BDE-209 is not
23 really volatile. It's really associated with dust in
24 particulate phase, given how hydrophobic it is. And
25 it is thought that for that -- for BDE-209, that most

1 of our exposure, particularly in children is through
2 hand to mouth or inadvertent dust ingestion. But we
3 did have a nice correlation. We're hoping to see if
4 we can repeat this in the future.

5 And then we get this question about PFAS
6 a lot because I know PFAS is a big topic. For PFOA
7 and PFAS and PFHxS, these common PFAS that are of
8 concern for cancer and health risk. We know that
9 diet is a main exposure route for those chemicals.
10 So I don't think wristbands are useful for those main
11 pelyfluoroalkyl acids. However, there are some PFAS
12 that are used in building materials and, you know,
13 thinking about your stain repellent carpets and
14 upholstery and even paints, and many of these are
15 what we call PFAS precursors because they can break
16 down to the pelyfluoroalkyl acids like PFOA.

17 In a recent study we conducted, we did
18 find a very nice correlation between MeFOSE, which is
19 a volatile PFAS on the wristband with N-MeFOSAA in
20 the blood. And this is a known parent metabolite
21 mixture. So meFOSE is oxidized to N-meFOSSA.
22 N-meFOSSA is one of those seven PFAS that are
23 recommended for monitoring, for clinical guidance by
24 the National Academy's report. And while so most
25 PFAS I do think diet is exposure, I do think in this

1 one case and N-MeFOSAA it seems our data seems to
2 suggest that exposure is likely inhalation or dermal
3 exposure and coming from the indoor environment.
4 Now, this was a population in Michigan. We have
5 since repeated this trend in a population in North
6 Carolina that data's not published. But it was
7 statistically significant. So this seems to be
8 similar in other areas.

9 Now, not every chemical is correlated
10 with the metabolites, right? So this is from one of
11 our pilot studies where we were looking at pesticides
12 and we were able to detect chlorpyrifos on the
13 wristbands, 83 percent detection frequency and a
14 hundred percent in the urine. And those samples are
15 analyzed by Antonio Calafat's group at the CDC, but
16 we did not see a significant correlation. And I
17 think this is likely because there's low level
18 residues on our food and diet's just more, more
19 important. So we don't see that correlation.

20 But that doesn't mean the wristband
21 measurements are invalid. It's probably just picking
22 up this low level exposure in the home. And I
23 particularly say that because we have a collaboration
24 with a group at Johns Hopkins University, where they
25 were deploying wristbands in Central America in an

1 area where they were applying chlorpyrifos in the
2 fields.

3 And we analyzed their wristbands. And
4 first of all, the chlorpyrifos measurements on their
5 wristbands were much higher than what we've seen
6 here. And they were significantly correlated with
7 this same urinary metabolite in their cohort. And
8 they presented on that at the ISES meeting. So I
9 know they're working on that. And that's in draft
10 and should be published soon. So there's going to be
11 some cases where you don't see a correlation because
12 exposures from the diet. But in other populations,
13 when it's a non-dietary exposure, you could see that
14 correlation.

15 Then we give the question to you about,
16 you know, can you use these in children? I think
17 just so like Kim Anderson suggested, you know, we can
18 use, we've used these down to age of three in
19 children. But then there's this question about
20 infants, right? They're vulnerable population, very
21 difficult to get blood and urine from them.

22 So we tried this use of wristband but
23 made it a little bit bigger and put it on the ankle.
24 So an ankle band. So we conducted a pilot study with
25 21 infants here in North Carolina where we had them

1 wear one of these ankle bands for three days. The
2 kids were between six to 18 months of age. And here
3 we just asked the parent to collect a spot urine
4 sample sometime during that three day window. So
5 either using one of these pediatric urine bags or one
6 of these toddler body training units and then
7 transfer it to a urine specimen cup. And these were
8 all analyzed in my laboratory. Here's some of the
9 data. This publication was just accepted last week,
10 so it'll be out soon in an ES&T Letters. But we can
11 see for the two main organophosphate esters that
12 we're able to measure particularly in urine in our
13 laboratory, we saw very nice correlations that were
14 statistically significant.

15 On the right is TDCPP, that chlorinated
16 organophosphate flame retardant. On the left, what
17 you're looking at is the diphenyl phosphate
18 metabolite in urine. And on the x-axis is the sum of
19 all the parent molecules of DPHP. Our panel has a 30
20 different organophosphate esters in there that we
21 target and measure. So we looked at the sum of these
22 because all of these could potentially break down to
23 diphenyl phosphate and there was a significant
24 correlation.

25 This also just highlights another

1 advantage of the wristbands because sometimes with
2 biomonitoring you're looking at a metabolite that has
3 multiple parent compounds, right? So you can't
4 always know which parent it came from, but using the
5 wristbands, you're getting information and all the
6 differences in exposure for the various parents. So
7 that's just one nice advantage about using these
8 wearable technologies.

9 I still heard someone ask about the
10 variability and measurements around the wristband.
11 We have looked at this as well. I know Dr. Anderson
12 has as well. In our study we said, well, what's the
13 difference if we take a sample here versus a sample
14 here versus a sample here? This is published in our
15 paper from 2022. It's in the supporting information.
16 So we took 10 wristbands and cut three pieces from
17 three different sections and then calculated the
18 percent relative standard deviation. We only focused
19 on chemicals that had a hundred percent detection in
20 every single sample. So we can avoid any biases from
21 imputation. But you can see here for a wide range of
22 organophosphate esters, brominated flame retardants,
23 PAHs pesticides and phthalates, that percent RSD was
24 pretty low. Among those three different samples
25 around the wristband, I've highlighted the 20 percent

1 mark because that's a typical threshold in many EPA
2 methods. So you can see almost everything was below
3 that.

4 There was a few that were higher, there
5 was some variability, but overall average was about
6 13 percent, which is actually pretty similar to the
7 you know, precision measurements you get in a lot of
8 methods using mass spectrometry. So we felt really
9 good about this.

10 How do they compare to spot urine? I
11 know that this question was asked too. We did do one
12 small pilot project a few years ago where we asked
13 people -- 10 people to wear five wristbands and take
14 one off every day. We also asked them to collect all
15 of their urine, a 24 urine sample each of those five
16 days. So we gave them a very large jug and we did
17 compensate them because I know this is not fun. We
18 also asked them to collect a spot urine sample at
19 different times on those five days. So using the 24
20 hour urine samples, we can look at total mass
21 excreted over those five days.

22 And then with these different wristband
23 measurements, we could look at the concentrations on
24 those wristbands over those five days, depending on
25 if they wear it one day, two days, or five days. So

1 what I'm showing here is actual data for one of our
2 participants for the flame retardant TDCPP. So you
3 can see there was variability in the urine every day
4 and then this rather linear uptake on the wristband.

5 And then we just compared these, right,
6 spot urine as a predictor versus wristband as a
7 predictor. So the top panels are data for TDCPP and
8 the bottom panels are data for TCPP. Those are two
9 different chlorinated organophosphates. The left is
10 the correlation between wristband and total mass
11 excreted, on the right is a spot urine sample versus
12 total mass excreted. Now when we picked spot urine
13 samples, we had five different spot urine samples.

14 So you get a very different correlation
15 depending on which day you pick we -- the right I'm
16 showing you here is just day three. It was in the
17 middle. So for TDCPP, you know, the correlation for
18 spot urine was a little bit higher than the
19 wristband, but for TCPP it was lower. But what you
20 see if you use a different spot urine sample,
21 sometimes it's significant, sometimes it's not. And
22 I -- you know, it's 10 people, so we have to take
23 this with some caution. But if you look at the
24 spread of the data with the wristbands, to me that
25 seems a little more robust and linear compared to the

1 variability you see on the right. Now these
2 correlations are Spearman correlations, which are
3 ranked sums and they're not looking at linear
4 relationships. But this data is also published.

5 And then we took those samples and
6 reanalyzed them for phenolic compounds, namely
7 parabens and triclosan. And that is also published
8 in the Levasseur 2024 paper. And we actually saw
9 something very similar. Lots of variability
10 depending on what spot urine you pick. But the
11 wristbands actually predicted it total mass excreted
12 fairly well. So they're at least as good as a spot
13 urine, I would say sometimes better.

14 Now, we couldn't analyze every chemical
15 in our panel in urine. But we did have data in all
16 these different chemicals in the wristbands. This
17 was published in the Samon et al., 2024 paper. I'm
18 just showing you three chemicals I picked out
19 randomly diethyl phthalate, phenanthrene and
20 permethrin. Each line represents a person in the
21 study and what their levels were, depending on if
22 they were at five days, three days, one days, et
23 cetera. Right, so the slope of that line is the
24 difference in their exposure. And you can see for
25 most of these, it's looks like a nice linear uptake.

1 I will note that there's very different Y
2 scales here on these different chemicals. For
3 example, permethrin is on a log scale. Some folks
4 had a thousand nanograms per gram of trans-permethrin
5 and others had 10. We think a lot of this is
6 actually due to use of pets because that's a really
7 common flea and tick medication in pets. So we often
8 see people with higher levels are pet owners. But
9 you can see, although, so that this is a nice
10 measurement. Now there's some variability. Some
11 people had higher levels on day one versus three.
12 But overall, most people you see this nice linear
13 uptake for many of these chemicals.

14 So now I wanted to kind of just switch
15 gears and talk about how we've been using these with
16 firefighters, because it -- just as an example of the
17 type of questions we're asking with wristbands I'll
18 start with this paper that was published in 2019. We
19 started collaborating with the Durham firefighters
20 here in North Carolina. And we wanted to ask this
21 question about how different their chemical exposures
22 were off duty versus on duty and even how they were
23 different when they responded to a fire or not. So
24 this was a study that was led by my former PhD
25 student, Jessica Levasseur. And so we had 20 -- more

1 than 20, but we ended up giving multiple kits to
2 firefighters and just kept asking them to wear one
3 until they completed a wristband or wore wristband
4 for all three periods here, either off-duty or home
5 for six days or working with or without responding to
6 a fire.

7 And so when those samples were analyzed,
8 we performed some regression analysis on the data.
9 So these are the targeted data results. So what
10 you're looking at here is changes on-duty versus
11 off-duty. So the horizontal line at one, that's kind
12 of a baseline or the average for all the
13 firefighters, their exposure is off-duty. And then
14 the y-axis is a multiplicative change in their
15 exposure on-duty compared to off-duty.

16 So you can see all of these symbols are
17 above the one line. So their exposures were higher
18 on-duty versus off-duty, which is what you'd expect
19 for these, which are PAHs combustion byproducts.
20 Many of these were statistically significant, which
21 is whether it's filled in or not. And you can see
22 the squares are higher than the circles, right? So
23 their exposures were higher when responding to a
24 fire, which makes sense. That's what we would
25 expect. What was interesting to me is why are they

1 also higher if they're working but not responding to
2 a fire? So it seems like they had additional PAH
3 exposures, even if they didn't respond to a fire.

4 So is that because they went to a
5 training event and they didn't tell us that was a
6 fire event? Or is it because they respond to a car
7 accident and there's some exposures, so it's not
8 fire, but it's also work related? Or is it because
9 there's exposure in the station or through the rigs?
10 We just don't know. But to us, this is an important
11 question to ask so we can understand where these
12 exposures are coming from because particularly in
13 firefighters who are worried about cancer risk, we
14 need to do everything we can to mitigate those
15 exposures.

16 And we use the same approach for
17 brominated flame retardants right here, looking at
18 exposures on-duty versus off-duty. So like the PAHs
19 the BFR's are also higher on-duty versus off-duty.
20 Many of them statistically significant. Some of
21 these are legacy BFR's that have been phased out and
22 some of these are current use alternative BFR's.

23 But what you can see is here there's not
24 much of a difference between the circles and the
25 squares, which means it doesn't seem to be related to

1 a fire event. It's just something about being a
2 firefighter overall that led to higher exposures. So
3 my question is why do they have these higher
4 exposures when they're working, if it's not related
5 to the fire? And I don't think we know the answer to
6 that yet. Is it something about the equipment they
7 use? Is it something in the fire stations, the rigs?
8 We're not quite sure. And there is one study with 20
9 firefighters and we are actually working more with
10 the firefighters to answer some of these questions,
11 but I think that's an interesting one.

12 And then you'll get something like
13 phthalates and phthalates actually were generally not
14 different on-duty versus off-duty, with the exception
15 of few of these low molecular weight phthalates,
16 which are actually higher off-duty than on-duty. We
17 hypothesize this is due to use of personal care
18 products that they use personal care products when
19 they're off-duty or home that they weren't using when
20 they were on-duty because we saw something similar
21 for some pesticides that are common indoors.

22 And then we switch to our non-targeted
23 analysis of data. This is with the same fire
24 department although this was the second pilot study.
25 So these are samples that were collected in 2023.

These are not yet published. But I wanted to give you an example of some of the work we can do with wristbands using a non-targeted approach. So here you're looking at a volcano plot where every dot on this volcano plot is a different feature or a different chemical that we picked up in our analysis, right? The x-axis is the fold change and the relative amount of that chemical on the wristband. And here we're differentiating between wristbands that went to a fire and those that didn't go to a fire, right?

And the Y axis is the P value. And so what's statistically significant is in the upper right hand corner, we had 22 features that are not in our targeted panel. One targeted chemical was statistically significant and that were higher in these wristbands that went to a fire. But you can look at the volcano plot, and see there's a skew to the right. So overall there's more exposures that are ongoing within firefighters. Some of these were statistically significant, some of them were not when you responded to a fire and that makes sense, right? And this is only 23 people, so it's still a small number.

We also asked the firefighters to record

1 the total amount of time they were at a fire. So if
2 we plot that we just here plotted by the median. So
3 the median amount of time our wristband was at a fire
4 in this case was 0.75 hours or 45 minutes. Well, now
5 it's more statistically significant, right? Because
6 you're really separating things that spent longer,
7 closer to a fire. Probably makes sense now we have
8 75 unknown features and four targeted features that
9 were statistically significant.

10 And again, you see that skew to the
11 right, more time in a fire, more exposures overall.
12 But what really I found fascinating, which really
13 confused us for a while, is this one where we plotted
14 years as a firefighter. We had quite a range and 23
15 firefighters, some were right out of the academy,
16 only had been working as two years. And then we had
17 other firefighters that had been there for 30 years.
18 The median was 15.5 years. So here we're splitting
19 at the median. And what you see is that there's much
20 more exposures in the participants that had been a
21 firefighter for fewer years as opposed to more years,
22 which is not what we expected.

23 Now we've highlighted a bunch of flame
24 retardants in here because I took this slide from one
25 of our talks, but here we have 500 features that were

1 statistically significant. So this was baffling to
2 us until we started talking to our fire service
3 partners and learning more about what they're doing.
4 And what we learned is that it's often the new
5 recruits that are the ones going into the fire
6 performing the overhaul more active on the scene and
7 it's the fire chiefs and the battalion chiefs that
8 are coordinating farther away from the fire. So we
9 think this may be due to the different tasks they're
10 performing based on their seniority in the fire
11 service. Or maybe it's just that younger people are
12 more active and they have more exposure to things.
13 It is a Pilot study and needs more needs replication.
14 It needs to be looked at some more.

15 But if this is true, that's, it's an
16 interesting thought because that means maybe some of
17 the exposures that contribute to long -- to the risk
18 for cancer are happening when firefighters are first
19 on the job, maybe over the first 10 years. But I
20 think it's something again that needs to be looked
21 at. And this provides an example again of some of
22 this differences we're seeing in exposure patterns
23 and how you can use the wristbands to kind of glean
24 this type of an insight.

25 So I'm almost done here. I just wanted

1 to kind of -- I know there this question came up of
2 how you use these in exposure framework. I know
3 there was a question, can you take them and estimate
4 indoor air concentrations? And I know that's a
5 direction a lot of people are going and I've seen
6 that happen. I think when they're stationary, I
7 personally think that's okay. I know there's been a
8 couple of calibration studies that have already been
9 published.

10 I'm more thinking that maybe we should be
11 thinking about how we can use the data to predict
12 internal dose using machine learning algorithms and
13 having lots of training sets because the data seems
14 to suggest it's integrating both dermal and
15 inhalation exposure. But on top of that, I worry
16 about movement, right? Because what's happening is
17 this is a flux calculation. Flux are influenced by
18 movement. And I wanted to evaluate this. So I
19 collaborated with my colleague here in the Civil and
20 Environmental Engineering Professor Heileen Hsu-Kim
21 and her PhD student Josh Miller. And what we did is
22 we took these wristbands and we put them on a test
23 tube rotator. And we deployed these in the family
24 room of the house here in North Carolina for 30 days.

25 And we had multiple of these test tube

1 rotators with the wristbands going at different
2 speeds. And so we estimated the speed, you can kind
3 of see in this diagram to the right, how we measured
4 the dimensions and then they rotated and they didn't
5 touch anything. They're only touching air, but they
6 rotated at different speeds. And if you look our
7 data, this was accepted for publication just
8 recently. You can see that speed has a big impact on
9 accumulation rates.

10 So the three -- these are three different
11 chemicals. There's tris(chloropropyl) phosphate,
12 there's 4--tert-octylphenol in the middle because we
13 picked that up quite a bit. And lilial from personal
14 care products from the right. Now first you see that
15 some of these look linear and some look like they're
16 reaching an equilibrium. So it is important to
17 figure out where those occur. But what you can see
18 is if it's stationary, which is the black line versus
19 moving at 1.1 meters per second, which is the green
20 line, there's a very big difference in the rate at
21 which these accumulate.

22 So 1.1 meters per second is basically a
23 walking speed, right? So if you're stationary versus
24 walking, the rate at which that accumulates on the
25 wristband could be very different, right? And so

1 kind of using this we estimated what we call an
2 enrichment factor compared to worn wristbands and
3 looked at these relationships. And there was one
4 with KOA. This -- the point being that I think the
5 data suggests that what accumulates on the wristband
6 is a very complex process. It's not solely driven by
7 gas phase partitioning. There's the role of the
8 skin, the dermal exposure, and particularly maybe
9 particles. Now we don't rinse particles off of our
10 wristbands. We do keep them on here. And we've seen
11 some correlations with chemicals that are particle
12 bound. So I think it's just multifaceted and there's
13 a lot yet to un-package on what pathways are
14 contributing to accumulation on their wristbands.

15 So advantages, I think there's many I
16 know we've already discussed them, right? They're
17 non-invasive. We can use these to measure exposure
18 to hundreds of chemicals over time. You can mail
19 these back and forth. You don't have to have a
20 clinic visit. I like looking at patterns of exposure
21 and I'm really excited to use them in those
22 applications. And lastly, these can help us reach
23 some, you know, isolated communities that may have
24 difficulty participating in research otherwise.

25 Now limitations as Dr. Anderson already

1 said, right? They don't work well for metals. I get
2 worried about their use for chemicals that have
3 higher water solubility like glyphosate or very, very
4 volatile, because we just have a tendency to store
5 them for longer periods of time. And I worry about
6 that. And I think it is, I know we mentioned hand
7 dominant, so I was really glad Kim mentioned that.

8 I think we need to understand that a
9 little bit better for the general population. I
10 still don't know what the difference is if you wear
11 long sleeves versus short sleeves. That's another
12 factor. Physical activity I think has to be looked
13 at. And I think we need to understand more what time
14 points, where do you reach that equilibrium? All of
15 our studies are usually either five days or seven
16 days like Dr. Anderson just trying to keep them.
17 It's also logistically easier. Now our lab is our
18 continues to support some of these other ongoing
19 studies.

20 We are working with the firefighter
21 cancer cohort study. We also working with the NIH
22 Cure Consortium, which looks at chronic kidney
23 disease. So they have wristbands deployed in six
24 different countries. We're analyzing those in our
25 laboratory right now. And we're supporting

1 wristbands for two of the five CEECR cohorts, which
2 is an NCI funded study to look at environmental
3 exposures and cancer risks. So those are all
4 ongoing. Certainly want to thank my lab groups has
5 changed a bit over the time and all of our
6 collaborators and funders. And I'll stop there. So
7 thank you for letting me go over time a little bit.
8 Thanks.

9 ACTING CHAIR CUSHING: Thank you so much.

10 Tom, go ahead. We'll do 10, 15 minutes
11 of questions and we'll take a quick break before we
12 discuss more.

13 PANEL MEMBER MCKONE: Thank, Tom McKone.

14 Thanks Heather, that was very interesting. I want to
15 start with just two quick comments. One is, you were
16 talking about chlorpyrifos and in a agricultural
17 community you expected more correlation. I just want
18 to -- I think about a decade ago when we were looking
19 at organophosphates in the Salinas Valley, we found
20 out that the biomarker levels in the women were
21 higher compared to NHANES. And they were
22 systematically higher reflecting that the indoor
23 environment there was equilibrating and accumulating
24 PAHs. And that made up the difference.

25 So we actually saw that in Salinas where

1 if it's used locally, your home or your living
2 environment will trap the organophosphates and serve
3 as a nice delivery system to the population so that's
4 consistent. Another quick comment is I have a friend
5 who's a firefighter. They spend a lot of time
6 driving around in their diesel trucks. So I don't
7 know if you've thought about that as the added source
8 for PAHs, you know, if they're not --

9 DR. HEATHER STAPLETON: That's exactly a
10 question we want to answer.

11 PANEL MEMBER MCKONE: Yeah, they're
12 always -- they're always out, you know, buying
13 groceries or just driving around in their -- they
14 don't sit in the station all day and even if they do,
15 they run the trucks half the time and get exposed.
16 But the question I have, and this is sort of a broad
17 question that we may discuss later, is, you know,
18 you've really taken us in the direction of showing,
19 you know, how we're moving more and more to using
20 wristbands to be more quantitative to characterize
21 either concentrations or biomarker levels.

22 But if you could speculate where we are
23 now in having wristbands as a key element of an
24 exposome. I mean, are we -- are we -- are we
25 starting to get there? How many years? I mean, have

1 you thought about what it might take to actually make
2 this a piece of what we call like the exposome the
3 record of what people are exposed to and a reliable
4 one? And again, I think it's moving there, but you
5 might have a better sense of if it's -- if it's
6 likely to move in that direction.

7 DR. HEATHER STAPLETON: Yeah. That's a
8 great question. I do know that some of the larger
9 exposomics initiatives in the European Union are
10 including wristbands in many of their studies and
11 they're moving ahead with those you know, NIEHS just
12 funded, you know, one center for exposomics here in
13 the United States. And my understanding is that they
14 are trying to do some inter lab calibrations or
15 harmonization studies to think more about how
16 wristbands can be used in these exposomics studies.

17 So I do think we're going to see more of
18 those moving forward. Yes. I mean, my personal
19 thought is we can't replace blood sampling with the
20 wristbands, but I think it's an important compliment
21 to have because there's always limitations of blood
22 sampling and urine sampling. Right? But I think we
23 need both of them to understand the full picture.

24 And personally, I'd love to see us use
25 them to understand exposures and how they change over

1 time. I get really worried about cross-sectional
2 analyses or just measuring them once a year. I
3 didn't have time to get into it, but we have another
4 study where we looked at variability by latitude and
5 longitude and temperatures and over seasons and you
6 just see very drastic exposure profiles that change.
7 So I just think there's a lot of questions that could
8 be answered or a low hanging fruit by using the
9 wristbands.

10 PANEL MEMBER LUDERER: Ulrike Luderer.
11 Thank you. That was a really great presentation. I
12 just have a question, you know, related to the
13 firefighters where, you know, when they were not --
14 when they were on duty, but there was no fire, the
15 levels were actually kind of paradoxically higher,
16 right.

17 And so I was wondering whether you are
18 have or are planning on looking at things like
19 turnout gear and levels of, you know, PAHs and you
20 know, other chemicals on the turnout gear because I
21 -- you know, as I understand it, they're not always
22 being cleaned all the time you know, from one fire to
23 the other. So just a question about that.

24 DR. HEATHER STAPLETON: Yeah. We do have
25 -- we have done that we have a paper under review

1 that's looked at both PFAS and BFR's in turnout gear.
2 And I share your concern that there could be some
3 exposures that are just coming from contaminated
4 gear. Yes. The topic of gear within the fire
5 service is very controversial right now because of
6 the PFAS issue. So it becomes really complicated.
7 But yes, I do think that's a factor that needs and
8 something that needs to be looked further into.

9 DR. KATHLEEN ATTFIELD: Hello Heather,
10 it's Kathleen Attfield from Biomonitoring California.
11 Thank you so much for talking about the issues about
12 the interpretation of thinking about inhalation
13 versus dermals. You know, what does it represent?
14 Because that's been something that's always confused
15 me. You know, to what extent is this telling you
16 what it's absorbing from the air versus what might
17 land on it from a pesticide spray or use of a
18 personal care product.

19 But since you already started to address
20 that, I'll ask something sort of similar. What about
21 from sweat or from sloughing of skin, like things
22 actually coming off the body and into the wristband?
23 Is that something you've thought about and how do you
24 -- how do you talk about it?

25 DR. HEATHER STAPLETON: Yeah, I mean, I

1 do get the sense that wristbands are picking up
2 dermal exposures. So I do believe that there are
3 chemicals that are in our air, some of them absorbed
4 to the wristbands, but some of them just absorb
5 directly to our skin, right? And so what we pick up
6 on the wristband could be coming from these chemicals
7 that are on the skin onto the wristband. Certainly
8 we see things like squalene and other biological
9 molecules that we know the skin secretes on the
10 wristband.

11 Now what fraction of that is from dermal
12 versus inhalation is very difficult to tease out. I
13 know of one paper that tried to look at this, that
14 was a group at Indiana University and I think their
15 data suggests that both routes of exposure are
16 integrated in wristband measurement, but it's going
17 to be different for each chemical and it's hard to
18 tease out. I think this is an area where we do need
19 some more research to understand this a little bit
20 better.

21 I know we're often asked the question
22 like, do PBDEs in our bloodstream -- are we excreting
23 them at our pores, and that's accumulating and that's
24 why we see a correlation? I don't believe that is
25 happening. I think it's more of that we're picking

1 up the signal from the air or the particles in the
2 air on their wristbands and sometimes those stick to
3 the skin and they are on the skin and then they
4 partition onto the wristband.

5 Not that we're excreting it out because I
6 just think that the thermodynamics of that, and I'm
7 not a dermal absorption expert, I just think the
8 thermodynamics of that would be very difficult. So
9 to me, the more likely explanation is that our skin
10 absorbs these chemicals as well. And then there's
11 some transfer to the wristband.

12 DR. MARTHA SANDY: Thank you. Martha
13 Sandy from OEHHA Biomonitoring California. So along
14 those same lines, I was thinking could someone be
15 excreting something in the sweat and it's absorbed to
16 the wristband. And I guess you could look in the
17 wristband for a metabolite that we know is excreted
18 in the sweat and see if you pick it up in the
19 wristband. That's an experiment that could be done.
20 But are you aware of anyone doing that.

21 DR. HEATHER STAPLETON: I'm not.
22 Certainly, we could ask Dr. Anderson if she she's
23 aware of anything. I haven't come across a lot of
24 studies where they actually identify metabolites of
25 chemicals coming out in sweat either. I know this

1 has come up a lot in the firefighters because we get
2 this question a lot of whether they can go in a sauna
3 and they'll sweat them out.

4 I know there's some evidence to suggest
5 that some of the PAHs are reduced on the skin from
6 sauna, but I'm wondering if those are just ones that
7 were on the skin to begin with and were not fully
8 absorbed. I just don't think we know. But I think
9 that's an excellent question and something that
10 should be explored. Yes.

11 DR. MARTHA SANDY: And a related
12 question. You did say you're wondering about long
13 sleeve versus short sleeve, so.

14 DR. HEATHER STAPLETON: Uh-huh.

15 DR. MARTHA SANDY: We know that some
16 clothing is treated with PFASs is and maybe, you
17 know, a variety of other compounds. Have you again,
18 tried to do some sort of a controlled experiment with
19 wristbands and people that are wearing clothing, you
20 know, has something and it's in contact with the
21 wristband versus people that aren't? And do you see
22 -- have you ever done that type of an experiment or I
23 guess this question could also be for Kim later.

24 DR. HEATHER STAPLETON: We have not.
25 It's certainly been on the back of our mind and it's

1 on kind of these list of experiments we would love to
2 run if we have enough time. And we started off
3 really trying to understand more about these
4 relationships between wristband and internal dose.

5 So multiple studies there and then the 24
6 hour urine study. So we just haven't had time and we
7 don't always have funding kind of to do all these
8 additional validation studies. But I agree it's an
9 important question to ask.

10 STEPHANIE JARMUL: And we do have one
11 public comment too. Great. We need to get to.

12 ACTING CHAIR CUSHING: I was just going
13 to ask about that.

14 DR. KATHLEEN ATTFIELD: Kathleen Attfield
15 again. Same question I asked of Kim. Sort of what
16 are the missteps you see people making in trying to
17 use silicone wristbands and what would you advise us
18 to look out for.

19 DR. HEATHER STAPLETON: I haven't seen a
20 lot of missteps. I mean, most people are happy to
21 wear them. People often forget to mail them back.
22 We have to remind them. In our case we do normalize
23 to deployment period. If somebody wears them for
24 five days and somebody else wears them for two days,
25 we normalize to per day. Just based on our studies

1 we seem -- it seems to be fairly linear for us.

2 So we feel comfortable doing that before
3 we apply statistical methods to analyzing the data.
4 You know, but as I said, there's just -- there's more
5 questions that we have to answer. Like is there
6 variability from the clothing, hand dominance? I get
7 nervous about measuring things that are too volatile
8 because they'll wear it, then they hold onto it, then
9 they'll mail it to us. And I don't know how long
10 it's been around at 25 to 30 degrees Celsius for some
11 of those really volatile chemicals.

12 So we stick to chemicals where they are a
13 certain range. I know Dr. Anderson mentioned this
14 right of KOW or KOA where we feel more confident that
15 the chemicals are more stable on the wristbands over
16 time and don't go into the more volatile things. I
17 just think what we have to be aware of is there are
18 different methods being used to analyze these. And
19 so that can contribute to differences in what you
20 detect or don't detect just because the methodologies
21 are different.

22 ACTING CHAIR CUSHING: Rebecca, do you
23 want to invite the commenter online.

24 REBECCA BELLOSO: Yes. And this comment
25 was submitted by Lily Wu and I'll read the comment.

1 It says, "Thanks for your presentation. Along the
2 lines of other silicone passive samplers such as
3 infant ankle band, there are silicone brooches that
4 could be more closer to people's necks to potentially
5 get a better indication of inhalation exposures. Do
6 you know of any studies that might compare a
7 wristband versus a brooch type wearable."

8 DR. HEATHER STAPLETON: Yeah. So I do
9 know that Dr. Miriam Diamond and Marta Veiner, Miriam
10 Diamond's at the University of Toronto, Marta's at
11 Indiana University, they've been looking at that and
12 has -- they have a paper out. I can't remember what
13 the exact differences were off the top of my head.
14 And sometimes it's restricted to like one class of
15 compounds.

16 But there is some data out there on that.
17 I get worried about using a brooch. I don't think
18 there's anything wrong with it. I think it will
19 work. I just want our participants to wear it for
20 more than a day. Right? And you're changing
21 clothes. So our -- for our -- for us, the ideal
22 situation is to have someone put it on and forget
23 about it. So you don't change your behavior, you
24 don't do anything differently.

25 So the wristbands are nice in that regard

1 because you can put them on, go about your daily
2 behaviors, activities, and you don't have to worry
3 about it. But a brooch you're going to have to take
4 on and take off when you change your clothes. And
5 that could -- I worry just a little bit about
6 contaminating it in that way.

7 ACTING CHAIR CUSHING: We'll do one more
8 question and then take a little break.

9 PANEL MEMBER LUDERER: Ulrike Luderer
10 again. I just have a sort of a couple of basic --
11 really basic questions. So one of them is, I mean,
12 have you looked at all whether people, you know with
13 bathing or washing, you know, whether that makes a
14 difference? Are you losing things from the
15 wristband? And also how long, you know have you
16 looked at various different times, you know, that
17 you've stored the wristbands to see, you know,
18 whether the things that you find in them change over
19 time, you know, from the same wristband, for example,
20 do that kind of a study.

21 DR. HEATHER STAPLETON: Right. We have
22 not done the latter yet. I agree that's very
23 important. With regards to showering and bathing.
24 When we conduct all these pilot studies, we ask that
25 question, how often do you bathe or shower or go

1 swimming? When we looked at the survey data, we
2 don't see any difference that maybe because most
3 people in our Pilot studies are showering every day.
4 There's not a ton of variability there.

5 But even the data I presented to you
6 where we started off with five wristbands and we took
7 one of every day, all 10 of those participants were
8 like showering just about every day. And you still
9 see a linear uptake with time. So they're not being
10 washed off. And the chemicals we focus on, again,
11 are very hydrophobic. They're not very soluble in
12 water. So I don't think it's very likely that
13 they're going to wash off during showering or in the
14 pool or things like that.

15 ACTING CHAIR CUSHING: Great. Well,
16 thank you for an excellent presentation. We'll go
17 ahead and take maybe a 10-minute break.

18 STEPHANIE JARMUL: Yeah, 10 minutes and
19 we can come back at 2:50.

20 ACTING CHAIR CUSHING: 2:50. Okay.

21 (RECESS)

22 ACTING CHAIR CUSHING: Okay. Welcome
23 back. We will carry on with our discussion on the
24 use of silicone wristbands to complement
25 biomonitoring studies. I'm going to introduce

1 Stephanie who will help moderate this discussion. So
2 Stephanie Jarmul is the Chief of the Safer
3 Alternative Assessment and Biomonitoring Section at
4 OEHHA. And she'll be walking through some of the
5 potential questions for the Panel and the guest
6 speakers and the audience to consider throughout the
7 discussion period.

8 STEPHANIE JARMUL: Thanks so much, Lara.
9 So for this afternoon's discussion period, we really
10 wanted to delve deeper into the utility of the
11 wristbands that we've been hearing about from Kim and
12 Heather to complement the Program's, biomonitoring
13 studies, and also some of the issues the Program
14 should consider before deciding to add wristbands to
15 any of our future studies. And to help guide this
16 discussion, we've created some informal questions
17 I'll present on, but we welcome your input on these
18 as well as any other issues that the Panel or
19 audience would like to raise.

20 So to preface this -- the Program's
21 exploring the possibility of using these wristbands
22 as a potential screening tool to help identify
23 chemicals to consider for biomonitoring. And then to
24 that regard, should the Program consider a semi
25 targeted approach to be used to only identify

1 chemicals with established methods for biomarkers in
2 humans, whether that's urine or blood or other bio
3 matrices. Or shall we consider a more non-targeted
4 approach that it seems like it's possible to do both?
5 And then are there certain biomonitoring matrices
6 such as urine versus blood versus serum that are more
7 appropriate to pair with the wristbands? And if yes,
8 which chemical groups should we consider for pairing,
9 considering what is on our designated list?

10 And then are there study designs or
11 populations such as surveillance studies or certain
12 occupational groups that we should prioritize for
13 including wristbands if we are to move in this
14 direction? And then finally, since many of the
15 metabolites used in our studies have half-lives of
16 hours or days, is it suitable to have participants
17 only wear these wristbands for one day to correlate
18 with the biomarkers? There's more questions to come.

19 And related to the last question, if the
20 wristbands are only worn for one day, then how could
21 we compare our results to other studies where
22 participants generally wear the wristbands for one
23 week or more? I know Kim talked a bit about how you
24 don't really want to compare concentrations on
25 wristbands from different time periods. And so how

1 can we make this data useful as a program if we are
2 only wearing the wristbands for one day?

3 And then can we compare chemicals and
4 wristbands from studies done in humid and hot
5 climates, for example, to studies done in opposite
6 climates? I think there's been some research that
7 shows that the different climates can have an impact
8 on the levels in the wristbands as well. And I don't
9 know if Kim or Heather would be able to talk a bit
10 about that. And then we talked also a bit about
11 active air samplers and how they are sensitive to
12 detecting small amounts of chemicals in the air. And
13 this again might be a question for Kim or Heather.
14 Do the chemicals need to be at specific
15 concentrations in the air to be detected in the
16 wristbands? Would it not be as good as detecting
17 small levels in the wristbands?

18 And then wristbands are used as personal
19 passive samplers. If our resources are limited, can
20 wristbands take the place of air monitoring and our
21 air pollution focused biomonitoring studies? Or do
22 we still need to consider having both? And one more
23 page communicating wristband results to participants.
24 Since the concentrations on the wristbands are not
25 considered biomonitoring results, we are not required

1 to return participants' results. And so just
2 thinking what would be of most use to the
3 participants and how we should think about sharing
4 the wristband results for chemicals. Should we only
5 share the ones that were also included in their
6 biomonitoring samples? Or if you have other
7 recommendations on how we can interpret these
8 wristband results and communicate them to
9 participants.

10 And lastly, if we get to some other
11 considerations such as the cost of analyses, best
12 practices for field deployment and additional
13 challenges or limitations we may have missed that you
14 want to bring up for discussion, but we might not get
15 to all of these in the next hour. But we would like
16 the Panel and audience to consider these questions.
17 And Kim and Heather, glad to see you're both still
18 here. And I welcome Lara to start the discussion.

19 ACTING CHAIR CUSHING: Is there one of
20 those four kind of major areas that are highest
21 priorities.

22 STEPHANIE JARMUL: Start with the first.

23 ACTING CHAIR CUSHING: Okay. Then maybe
24 we can just have those questions up so we can --

25 STEPHANIE JARMUL: And I can --

1 ACTING CHAIR CUSHING: -- ruminate on
2 them a little bit. Thanks. So please just go ahead
3 and raise your hand if you'd like to comment or
4 question any of these. And I am able to see the --
5 our two presenters on screen. So if you'd like to
6 say something, please just use the raise hand
7 function on the Zoom.

8 DR. HEATHER STAPLETON: Okay.

9 ACTING CHAIR CUSHING: Go ahead, Heather.
10 And then Kim.

11 DR. HEATHER STAPLETON: I guess I just
12 wanted to ask for a clarification on one of these
13 questions. So the first one says, should a semi
14 targeted or approach be used or use non-targeted, why
15 does it have to be just those two? I mean, there are
16 -- we use fully targeted methods when using
17 wristbands, which I think are best for -- if you're
18 -- it can be supporting a biomonitoring study.

19 So I'm just kind of confused about why
20 you're saying semi targeted versus non-targeted and
21 ideally personally, this is me because this is what
22 we do. We can do both at the same time, targeted and
23 non-targeted. So I think that provides a wider
24 breadth of information. So I just wanted to -- I was
25 just wondering why it said semi targeted there?

1 STEPHANIE JARMUL: Sure. So I can give
2 an example. You know, for many of our studies just
3 thinking about our air pollution studies, for
4 example, you know, we're looking at PAHs, VOCs and
5 metals. And so I think we automatically would want
6 to include any that we already are including in our
7 biomonitoring samples.

8 But in terms of a semi-targeted approach,
9 if we wanted to see if there are other VOCs or PAHs
10 we might be missing or pesticides for example, but we
11 still want to focus only on biomarkers that we
12 already have established methods for, then I think
13 we'd want to do a semi targeted approach versus the
14 non-targeted approach. We could expand and look at
15 chemicals that the Program should perhaps consider
16 developing methods for or adding to the designated
17 list. And for some background, sorry, Kim and
18 Heather the Program can only include biomarkers for
19 chemicals that are on our designated list in our
20 studies. So that's why this is of particular
21 interest to us.

22 DR. HEATHER STAPLETON: Okay.

23 ACTING CHAIR CUSHING: I think -- Tom I
24 think Kim had her hand up first. Did you still want
25 to say something Kim.

1 DR. KIM ANDERSON: Oh yeah, I have the
2 similar question. Why not use targeted methods.

3 ACTING CHAIR CUSHING: Okay.

4 DR. KIM ANDERSON: So you know, there's
5 -- and that's the beauty of somewhat the wristband is
6 you could tier it so you could use a targeted method.
7 There's semi target -- like we have a semi-targeted
8 method has about 1,530 analytes in it. And then you
9 mentioned presence-absence. We have a
10 presence-absence method that has like 300,000, but
11 it's still, it's not non-targeted. They're 300,000
12 in the sense that it's a sort of semi targeted method
13 versus truly non-target. That's -- there are very
14 different questions and in case of Heather's lab, she
15 can do both. So, but they're very different
16 questions. So it's hard to answer -- it's hard for
17 me to answer that question. I'm seeing Heather shake
18 her head. So that's a hard one. I don't know.

19 It's-- I guess I will say we do see
20 caffeine in wristbands. To go back to an old
21 question, and I'm going to -- in about 80 percent of
22 our wristbands, we see caffeine. So I kind of think
23 that's coming from the skin, not that people spill
24 caffeine on their skin. But then we actually avoided
25 looking for metabolites like metabolites of

1 pharmaceuticals because we wanted to encourage people
2 to wear them. And that can actually discourage
3 people if they think you're going to look for like
4 drugs of abuse or something. So we've actually
5 purposely stayed away and do not include those
6 metabolites or analytes in our method because it
7 could discourage participants.

8 Concerning your last question, may the
9 metabolites used in the programs have a half life of
10 hours or days? Are you presuming that they only have
11 an exposure once during the wear time? Because if
12 they're constantly exposed through the wear time,
13 then yes, I mean there's how it gets correlated
14 that's different. And Heather spoke to that. But if
15 it's a constant exposure or do you think it's just
16 one acute exposure and it has a half life of hours or
17 days? Either way there's an answer in which you
18 could use -- still use the wristband. So you can use
19 the wristband on the order of days or longer. But if
20 it's that they're being exposed to it continuously
21 but that it is clearing that's kind of a different
22 question. Heather kind of addressed some of that in
23 her work. So --

24 STEPHANIE JARMUL: I think it will depend
25 on the chemical of interest. And I think for a lot

1 of the chemicals that we include in our studies,
2 we're expecting different exposure routes at
3 different parts of the day, which is why the
4 wristband is so interesting because, you know, for a
5 lot of our air sampling, we can only sample, you
6 know, for example, at a participant's home and get
7 the air concentrations there, but the wristband would
8 be able to tell us other exposures that they're
9 experiencing while at work or in their car or doing
10 other activities. So I think we're expecting sort of
11 continuous exposure over the 24 hours, but from
12 different sources. I don't know if that makes sense.

13 DR. KIM ANDERSON: Yes, it does.

14 STEPHANIE JARMUL: Which I -- we want the
15 wristbands to -- it would be a better indicator of
16 the cumulative exposure --

17 DR. KIM ANDERSON: Exactly.

18 STEPHANIE JARMUL: -- from that 24 hours.

19 DR. KIM ANDERSON: Right. So that's your
20 question. Wristbands are great. It is a great tool.

21 STEPHANIE JARMUL: Yeah.

22 ACTING CHAIR CUSHING: Go ahead Tom.

23 PANEL MEMBER MCKONE: Well, I want to
24 take a sort of a broader approach to this instead of
25 the specific questions, but the -- I mean the broad

1 question is how do or can and how can silicone
2 wristbands play a role in biomonitoring? And I think
3 we have to, you know, pose the philosophy view I
4 think we've had since the beginning, which is for the
5 designated chemicals, what we're trying to do is the
6 best job of understanding through biomonitoring and
7 other tools to enhance biomonitoring, what's going
8 into the California population, what's in the
9 population and what's going in.

10 And we even like to go beyond that and
11 say, where's it coming from? So with that in mind, I
12 think we have to look at tools like this that come
13 along and say, can it help us with this process of
14 saying, okay, now we have biomonitoring data, is
15 there something that would help us make it more
16 reliable, make it more understandable? Because our
17 goal isn't just to go out and take the designated
18 chemicals and make measurements of urine and blood.
19 It's ultimately to gain more understanding and
20 protect the health of the health California
21 population by understanding how to use biomonitoring.

22 So I think we have to frame this and I
23 think the answer is yes, we've seen examples and I
24 think that has to be kind of a project to explore
25 where's is -- where is it that silicone wristbands

1 can really enhance or fill in some gaps or help us
2 understand the sources of exposure better. When we
3 have -- like even today we learned there are things
4 where we don't understand why there's differences.

5 You know, why is this population higher
6 and we're speculating. So we need these kinds of
7 tools when they come along. And if they're
8 demonstrated as their reliability and their
9 feasibility increases, I think we have to make sure
10 they're in our tool set too to do the best job we can
11 in biomonitoring. Anyway, sorry, little
12 philosophical, but I think that's kind of the
13 approach to answering that question.

14 ACTING CHAIR CUSHING: That -- is that
15 Heather with her hand raised? Okay. Oh yeah, please
16 go ahead.

17 DR. HEATHER STAPLETON: Well, I guess I
18 just wanted to provide some feedback on the question
19 about wearing one day versus others. I think
20 ultimately it always comes down to the specific
21 question you're trying to ask and answer. I
22 personally don't recommend one day I would recommend,
23 you know, five or seven days if it's logistically
24 feasible.

25 And would just direct you to the paper

1 Samon et al, 2024 because that's the study where we
2 started off with five wristbands and then took one
3 off successfully every day. And in that paper we
4 report on the number of chemicals we detect based on
5 the number of days it was worn. And the longer the
6 wear it, the more sensitive it becomes to chemicals
7 that are found at lower concentrations in the air.
8 So I mean, what you measure on the wristbands a
9 function, if it's for inhalation, right, the
10 concentration gradient between the air and the
11 wristband and the physical chemical properties.

12 So chemicals that are at low
13 concentrations, you're going to hard -- have a harder
14 time seeing them unless you wear it for longer
15 periods of time. And this is exactly what we see for
16 volatile PFAS. So for research studies that we want
17 to measure volatile PFAS, they have to wear it seven
18 days or we're not going to be able to detect it. You
19 wear it one day, you're not going to see it.

20 But there is exposure that's ongoing and
21 I just think because it integrates exposure over
22 time, and if your question is what's the average
23 exposure, I think five or seven days is going to be
24 better than one day and you're going to have more
25 signal and you're going to be able to measure that a

1 little bit better. So that's just my perspective and
2 just something to keep in mind.

3 STEPHANIE JARMUL: Thanks, Heather. And
4 I should note that ideally, you know, we would want
5 to collect a urine sample every day for a week, for a
6 year, you know if we had unlimited resources and
7 participants had unlimited time. So, you know, for a
8 lot of our studies they do end up being more
9 cross-sectional. And so just thinking about if we
10 can only collect one urine sample from a participant,
11 wouldn't we -- wouldn't they only be able to wear the
12 wristband for the 24 hours previously because that
13 would correlate with the levels that we're seeing in
14 the urine or do you think that we could still have
15 them wear the wristband five days prior to collecting
16 that one urine sample at the end of that five-day
17 period.

18 DR. HEATHER STAPLETON: But it sounds
19 like maybe you're limiting yourself to what you're
20 measuring in urine and if you're doing that, and if
21 you're sure of the half-life and the chemicals, then
22 maybe that's okay. But not all chemicals are -- have
23 half lives under 24 hours. Sometimes they're longer.

24 STEPHANIE JARMUL: That's true. I guess
25 it depends on the approach we take. If it's a

1 screening tool, then they could wear it for much
2 longer. I mean, ideally, perhaps they'd wear two
3 wristbands, one for one week and then one for one
4 day. And the one day one would correlate with the
5 urine and the others would be used more as a
6 screening tool to identify other chemicals we may
7 have missed.

8 DR. HEATHER STAPLETON: Or you might
9 need to measure wristbands like three days and then
10 collect the urine samples right before it. Because
11 the urine may be picking up chemicals or the exposure
12 occurred in the few days previous to where you
13 collected that urine sample.

14 STEPHANIE JARMUL: Yeah.

15 DR. HEATHER STAPLETON: I see Kim has
16 her hand up. I'll let Kim speak.

17 DR. KIM ANDERSON: Yeah, no, I agree. I
18 mean I just -- I guess it comes down to what's the
19 important question. If the important question is to
20 really get the strongest correlation between a short
21 half-life metabolite and the wristband, then you'd
22 want them to match up. If you really believe it's a
23 half day, you know half-life. I think you limit
24 yourself for the reasons that Heather said. And I
25 had said earlier that by doing short wear times, you

1 are limiting that you're not going to pick up as many
2 chemicals. And if you're trying to understand the
3 breadth of exposure to, to identify new chemicals of
4 exposures understand that, you know, that bigger
5 picture you're limiting yourself.

6 But again, if that's the most important
7 question, then you would try to design the study to
8 match as much as the information as you have. But if
9 you want to take advantage, you know there's some
10 other things that could happen there as far as taking
11 advantage of the wristband technology as far as
12 additional chemicals, all the things we've talked
13 about.

14 ACTING CHAIR CUSHING: All right I'm
15 going to call, I'm going to call on myself. This is
16 Lara Cushing from UCLA. Yeah, I think to me the
17 beauty of the wristbands is really not to try to
18 replicate what we're doing with biomonitoring, but to
19 perhaps elucidate novel compounds, co-exposures, you
20 know more of the exposome type idea in a surveillance
21 project.

22 So I could see, and I don't know how this
23 lines up or is feasible with our restriction to
24 designated chemicals, but if these could somehow be
25 used to perhaps identify populations or identify

1 chemicals that have not been a focus but need to be a
2 focus due to their ubiquity in the California
3 population, I think that would be really amazing.
4 Who -- sorry, I lost track of hands. Ulrike, why
5 don't you go ahead.

6 PANEL MEMBER LUDERER: Yeah, I mean, one,
7 one thing, you know, you were talking about
8 populations and occupational groups, so obviously
9 occupational is near and dear to my heart. One of
10 the things that I was thinking about is it seems like
11 these wristbands would be great for monitoring you
12 know, people who say farm workers who are, you know,
13 not -- it's not going to be very easy to, you know,
14 get blood samples and, you know, do multiple samples
15 or, you know, sample over time.

16 And you could do that, you know, having
17 someone wear a wristband is not asking, you know, a
18 lot of them, you know, they don't have to do the
19 types of things that they often, you know, you might
20 have to do for, you know, if you have to come in for
21 blood sampling or urine or whatever.

22 And then also I was thinking, you know,
23 when we were talking about the BiomSPHERE and those,
24 you know, it would be really interesting to compare
25 farmer, you know, people who are actually working in

1 the fields versus the families and, you know,
2 looking, you could assess, you know, maybe exposure
3 to pesticide drift and things like that by -- so I
4 just think that this would be a really great tool for
5 different populations and that's just one that came
6 to mind.

7 ACTING CHAIR CUSHING: Jenny.

8 PANEL MEMBER QUINTANA: I was going to
9 basically say what you said, Lara. It's a comment,
10 but I -- just to build on what people have said
11 before, I think the purpose is important. So if it's
12 sources, I think the firefighters study was really
13 interesting because it had wristband when they were
14 doing one activity, going to a fire and then
15 wristband when they weren't, and it allowed them to
16 look at those exposures separately. So that would be
17 one way to do it, to actually have different, you
18 know, wristbands being worn or taken off and put back
19 on or whatever. Kind of for understanding sources in
20 the -- understanding dangerous occupation --
21 occupational activities for example.

22 But also like Kim said, if the behavior
23 is stable, it doesn't matter if it's a short
24 half-life because it will correlate well with a seven
25 day exposure, you know, so for example, cotinine,

1 again, metabolite of nicotine is only 17 hour
2 half-life, but it's extremely stable in people very,
3 very stable because of exposures to secondhand smoke
4 or whatever tend to be very reproducible, but not
5 always, you know, there's kids that see grandma once
6 a week or so, there's value of looking at, you know,
7 seven days like Heather said as well.

8 So -- but I think that getting back to
9 what you said, how does this add value to what we
10 already do? I think it's important because when I
11 first read the last bullet point, I was thinking in
12 terms of kind of validating in a sense the wristband
13 versus the urine. And I think maybe that's why you
14 wanted the thing, but maybe we don't want to do that.
15 We want to have another reason for doing it, I guess.

16 STEPHANIE JARMUL: Thank you for those
17 comments.

18 ACTING CHAIR CUSHING: Oliver?

19 PANEL MEMBER FIEHN: Yeah. So I would
20 like to say one thing that I think is not quite clear
21 yet. And that is the cost and the opportunity here.
22 So one thing that you do when you have blood or urine
23 taken is that you have significant cost in collecting
24 the samples. You have to have phlebotomist, for
25 example. You need to reach the people or people have

1 to drive someplace.

2 And with the wristbands, I think it is
3 much easier to do a much larger scale study. You
4 know where it's much less costly to do, you know, a
5 study on a thousand people for example. And with
6 that you get a lot more statistical significance. So
7 I think we should not try to mimic or directly
8 replicate what you find in urine or plasma, but
9 rather saying, you know we want to know what people
10 are exposed to.

11 We want to know the different populations
12 in California. And that gives us an opportunity to
13 do so. And in the sense of what to report and how to
14 report back to participants, that's an interesting
15 question, but at least we can say, look, we have
16 large suspect screening lists. These are the ones
17 that we usually don't report on because we usually go
18 for something in plasma or urine, which is very hard
19 to detect, very low abundant, and we don't often see
20 it.

21 So that's why we need very dedicated
22 methods because of the turnover in the body. But
23 with wristbands we can accumulate and we don't have
24 the problem of enzymatic degradation like we have in
25 humans. So we have opportunities to do much larger

1 scales across California in different populations,
2 including in vulnerable populations like children.
3 So I think we have a lot of win-win-win situations
4 here and I would highly recommend trying this route
5 for specific questions.

6 STEPHANIE JARMUL: Thank you, Oliver. I
7 do want to mention though or reminder to the panel
8 too though that I -- we are a Biomonitoring Program,
9 so I think we still have to include biomonitoring
10 regardless in all of our studies. And so then it's
11 how can we add on the wristbands to complement those
12 studies? And maybe it is that we should think of it
13 more as simply a screening tool, and so we don't have
14 to think so hard of how to correlate it with the
15 measurements that we're seeing in our biomatrices. I
16 think that's what I'm getting from this conversation.

17 ACTING CHAIR CUSHING: Kim and then Tom.

18 PANEL MEMBER MCKONE: I just was.

19 ACTING CHAIR CUSHING: Oh, sorry. Okay,
20 let's do Tom and then Kim.

21 PANEL MEMBER MCKONE: I mean your
22 statement that it has to be biomonitoring to use it.
23 I think it's important to recognize that we have used
24 non biomonitoring types of studies to designate
25 chemicals, right? So it is -- I mean, given our

1 precedence, we did like for siloxanes, I think as a
2 class, we didn't look at biomonitoring to decide to
3 list it as something we wanted to Biomonitor.

4 We looked at the growing use of the
5 chemical and the fact that it was showing up in
6 different samples, not biomonitoring samples to say
7 we should Biomonitor it. I mean, it's kind of like
8 chicken egg in a way, but I mean, if we did a
9 wristband study that found chemicals that we hadn't
10 thought of before showing up all over the place, that
11 would enter into our process for designating, which
12 we haven't really used a lot lately. But early on
13 that's all we did all the time was we were building
14 up our lists. So we were doing a lot of studies
15 where we did not use biomonitoring to decide to
16 Biomonitor.

17 STEPHANIE JARMUL: That's a great point.
18 Thanks Tom. And that is also what we were thinking
19 of using the wristbands for potentially as well. And
20 that's where the question came from if we should use
21 semi targeted or non-targeted analysis. And it
22 sounds like maybe we should use a more non-targeted
23 analysis to identify chemicals that we might want to
24 add to our designated list.

25 ACTING CHAIR CUSHING: Kim, did you still

1 have a comment.

2 DR. KIM ANDERSON: I think I forgot my
3 first comment, but as far as I can't remember. It'll
4 come to it back to me. Yeah, I guess I kind of
5 doubled down on the idea of what is biological
6 monitoring? This is measuring and a biological
7 exposure. So it -- I guess it depends. It's a fine
8 line, right? And how you define biological
9 monitoring. I think you are measuring a biological
10 exposure, which is the intent, but it's also the
11 ability to explore, which I think someone, Tom maybe
12 just said, explore new chemicals, right.

13 I mean, the idea is to understand that
14 exposome that hole, which is more complicated than
15 just chemical exposures, but you know, just living in
16 some really finite space with, you know, a blood or a
17 urine sample is really putting your blinders onto a
18 whole lot of exposures of chemicals that might
19 actually be more important.

20 I -- you put this page up. Thank you for
21 putting this page up because I couldn't remember all
22 of your questions. We've been reporting back to the
23 community for a decade now. First of all, they love
24 wristband results. They're not overwhelmed with the
25 fact that this is new technology or that there isn't

1 a clinical level that says, oh, this means you have
2 high cholesterol, or this means your cholesterol is
3 okay. They really do with proper, you know report
4 back, understand the idea that this is a new
5 technology and they like, but they -- what they do
6 like is that they want to see everybody else relative
7 to themselves.

8 So we do tend to always include, this is
9 you and this was everyone else that we did. And that
10 is incredibly satisfying for folks. They understand,
11 oh, I'm high. Like what are some, like I'm high.
12 And then we can talk to them about, do you burn
13 incense? Do you have a natural gas stove? Do you --
14 you know, do you have candles? You know, in the case
15 of PAHs, you know, or I'm low compared to everybody
16 else. It really is a very important engaging
17 conversation. And it doesn't have to be about a
18 clinical level defined that you have cholesterol
19 above this level or cholesterol below.

20 So I get that it's not required to report
21 back, but I find that the participants really enjoy
22 it and they get over what I think we are paralysis by
23 analysis scientists that we don't have all these
24 questions answered. They don't even think about all
25 these questions. They're like really wanting to know

1 like, hey, these are -- these are chemicals I didn't
2 even know I was exposed to. Where do they come from?
3 How might I change or how might I not change? So I
4 find that it's been very rewarding to report back
5 results and, you know, I would strongly encourage it.

6 STEPHANIE JARMUL: Thank you, Kim. I'll
7 just mention that we have a similar approach to our
8 biomonitoring results return packets where we share
9 participant results to others or compare participant
10 results to others in the study. And it's nice to
11 hear that you've had positive feedback in doing
12 something similar for the wristbands.

13 ACTING CHAIR CUSHING: I saw Martha had a
14 comment and then Amy.

15 DR. MARTHA SANDY: Martha Sandy. Oh
16 yeah. Maybe just the terminology. It -- the
17 wristbands are really a nice way to figure out what
18 people are coming in contact with. So it's better
19 than a stationary air monitor, which is, you know, an
20 improvement on that is something in measuring air in
21 your house and just outside your house. An
22 improvement on that is putting a personal air monitor
23 on your lapel and walking around all day, or a
24 backpack. The wristband is capturing more, but
25 measuring a chemical in the body, in the urine or the

1 nails or the hair or the breast milk or the blood is
2 biomonitoring. So we do have these different terms
3 that we have to deal with. And I -- we are thinking
4 of how do we use wristbands to identify, as you all
5 discussed, other chemicals we should be considering
6 measuring in our biological fluids.

7 And maybe adding to the designated list
8 if we need to because we're seeing that people are
9 exposed because it's on the wristband. So perhaps
10 our terminology, the way the Program is using the
11 term targeted versus non-targeted or semi targeted is
12 confusing to the analytical chemist because we -- you
13 know -- we had -- we -- our wristbands, we did a
14 small pilot study that you'll hear more about --
15 you've heard a little bit about, you'll hear more
16 about at another meeting. You know, there was a set
17 -- it was targeted for many different chemicals, but
18 we -- they didn't necessarily correlate with the
19 chemicals we were measuring in those people in the
20 biomonitoring study we were doing.

21 So I think maybe our use of the term semi
22 targeted or non-targeted is we were misusing the term
23 when analytical chemists call -- say that. So I just
24 wanted to clear the air on that. That's all. Thank
25 you.

1 ACTING CHAIR CUSHING: Thanks, Martha.
2 Amy?

3 PANEL MEMBER PADULA: Amy Padula. I
4 guess I just had a quick comment just to, in concert
5 with, I think what most everyone else is saying that
6 I agree that having a, you know, a longer term sample
7 of -- with the wristbands would be a really kind of
8 illuminating to be able to kind of a broad scope.
9 And I think also is just to get away from the idea
10 that this one -- this kind of urine sample is our
11 gold standard is I think a kind of misconception that
12 we maybe are holding onto. I mean, I think of course
13 we naturally compare. It seems every study we've
14 read shows the comparison, but if we're going to move
15 forward, I think this seems like a logical direction.
16 I also wanted to bring back what I think both Kim and
17 Heather mentioned that the, you know, the day of the
18 week really matters.

19 And so then the one day really kind of
20 makes -- it's problematic in that sense. The one
21 question I had about the report back, I agree that
22 showing people's value in relation to everyone else
23 is a -- especially in a graphical form, is a really
24 excellent way to convey that information, especially
25 when we don't have levels or standards that are

1 considered high and low.

2 I was curious, given the number of
3 chemicals that are usually measured in the
4 wristbands, I was wondering how you decide how many
5 -- which ones, I know there's -- I know you've
6 mentioned hundreds or even thousands of chemicals.
7 This is something we're trying to sort out and I was
8 just curious how -- what -- how to deal with the
9 volume of chemicals for the report back and that was
10 directed towards Kim, if you don't mind.

11 DR. KIM ANDERSON: Yeah. So we usually
12 have a one pager that summarizes the study and then
13 we have an individual report that gets generated for
14 each individual. So the summary, oftentimes I'll
15 pick out two or three, usually like three, I don't
16 know why three chemicals where I feature just what
17 those chemicals were, where their typical sources
18 are, and the individual report that the person gets
19 -- which just gets generated on the backside of that.

20 We can -- we -- it's actually not that
21 hard if you write laboratory information system. So
22 we generate a plot for all of them. It's like where
23 you are versus where the rest of the group was. So
24 we actually do include that, but a lot of times we
25 feature, for instance, a PAH, that's -- we do a lot

1 of those and we feature like if you -- and so you can
2 go back and look at your data, your individual data,
3 and you can see how you rank are sort of in the spill
4 of data.

5 And then on the one pager there'll be
6 featured ways in which you could reduce your
7 exposure, but they actually get like a one pager
8 with, with some interventions and then they get their
9 individual report and individual report shows
10 everything for them relative to the group.

11 So each one has a little dot. And here's
12 the rest the group. I can have, I can connect you
13 with Diana Rohlman, she makes all these for us if
14 you're interested. And she can send you some
15 examples of we've used, that's with when we used the
16 really big method, like if we were just doing PAHS,
17 that's sort of different. Or if we were just doing
18 phthalates or something that's, you know, it's
19 smaller. It doesn't take that much to do. It's kind
20 of push a button at this point for us because we
21 haven't already coded.

22 ACTING CHAIR CUSHING: Thank you.

23 STEPHANIE JARMUL: We do have a couple of
24 online.

25 ACTING CHAIR CUSHING: Great. Let's move

1 to the online comments and questions.

2 Jianwen, did you want to unmute?

3 DR. JIANWEN SHE: Hi, it is Jianwen
4 again, thank Kim and Heather for excellent talk. And
5 then also thank you everyone for discussion. I
6 learned from this talk, I also think what's the
7 Biomonitoring Program's purpose? We look for the
8 source, we look at the time trend. Does the key --
9 does the wristband help to address these questions.

10 We look at the environmental component,
11 monitoring air, water, soil. Does that help to
12 address questions regardless which compartment we
13 monitor, we can't share the common objectives. So we
14 showed a lot of look at this approach separately. We
15 need to integrate them together.

16 So what I see, at least like many people
17 already talked this complement advantage provided by
18 wristband, biological sample doesn't have a time
19 delay and for collecting blood and the urine we
20 cannot do large scale studies and the band, wristband
21 maybe provide pre-warning systems, also can monitor
22 the trend, monitor the interventions and
23 effectiveness.

24 I think the programs needed to consider
25 from the objective of the biomonitoring and the

1 environmental monitoring and the active sampling,
2 passive sampling that we all address the same, try to
3 go to the same place. So I like to thank the
4 presenter and for also think suggest the Program to
5 comprehensive overlook this -- this possible and
6 valuable tools. Thank you.

7 STEPHANIE JARMUL: And thank you Jianwen.
8 We do have one question from Beth. She said, "I
9 noticed the bands are labeled with -- labeled with
10 embossed and colored ink lettering. Do those
11 chemicals need to be considered that are used for the
12 coloring of the wristbands?" That might be a
13 question for Kim or Heather.

14 DR. KIM ANDERSON: So we don't usually
15 put paint on, we don't usually paint the wristbands.
16 We have different colors and then we just press the
17 study, whatever we're going to put in the study line
18 so we don't put paint. We went through this with
19 about 20 plus colors where we tested.

20 So we have this whole process for testing
21 background after we're done processing them
22 elasticity, you know, right? There's all these good
23 manufacturing practices that every batch gets tested
24 and every batch gets samples actually put into
25 archive in case anything comes up from that batch

1 that we've produced. And after about 20 chemicals we
2 stopped.

3 However, you know, it's one of those you
4 can't prove the negative. So I finally, you know,
5 everyone wants to their own special color. I don't
6 actually let people choose anything beyond the 20
7 I've already tested because like I'm kind of tired of
8 doing all that. It is a lot of work to test every
9 color and every situation because there's a QC
10 question in here too that, that Heather and I can
11 answer. So we did test all those, but I admit I
12 don't add any more colors to my set colors that I
13 offer people.

14 DR. HEATHER STAPLETON: Yeah. And I just
15 wanted to add onto that, that we're always analyzing
16 field blanks anyway. And so field blanks, if there
17 is something in the coloring or a dye that doesn't
18 come out during the cleaning process, most of those
19 come out in the cleaning process that some of them
20 that they remain, they're accounted for in the field
21 blanks. So we've never had a problem with it.

22 We, like Kim only use a handful of
23 colors. I will say though because I just -- because
24 I found this interesting. We did have a group that
25 really wanted to use yellow wristbands and when we

1 cleaned them and analyzed them, we found PCB-11,
2 which I think was in the yellow dye in there.

3 Now it was really low level and we can
4 account for it in field blank, but it was just
5 interesting that it popped up and we saw that. So it
6 is something to be aware of, but we always account
7 for that with field blanks and checking them with the
8 cleaning process.

9 DR. KIM ANDERSON: Yeah, we don't use, we
10 don't use yellow either. Concerning the QC question,
11 so I -- as I mentioned, about 30 to 50 percent of our
12 samples are QC. We usually do triplicates in the
13 field. We do trip blanks, field blanks. Those are
14 two different kinds of blanks. We do extraction
15 blanks. We also have from every batch that we make,
16 we include one of those. We have prep blanks. We
17 have on instrument blanks and CCV. So we do a CCV
18 continuing calibration verification every eight to 10
19 samples.

20 And so all of those are sprinkled all
21 through there. Somewhat to my chagrin because the
22 staff are analytical chemist with a big a-n-a-l apart
23 as in and it's very costly. But the -- I'm always
24 saying we don't need to run that much QEC. We know
25 these, we can -- we run fewer blanks, but I get the

1 -- it's a safety -- it's a safety blanket for them.
2 They're Linus, they want to hold their blanket. What
3 else was in here? I think -- I think that's it. And
4 all that information also gets included if you want
5 in a report. Yeah.

6 ACTING CHAIR CUSHING: Thank you. Are
7 there any more questions online, Rebecca or
8 Stephanie? No. Okay. I had one. Okay. I wanted
9 to follow up on the report back. I'm curious, so I
10 think, Heather, you mentioned earlier that you
11 normalize sometimes by the amount of time somebody
12 wore the wristband if there were slight variations.

13 So is that kind of standard since Kim you
14 emphasize that people really like to see where they
15 stand relative to others. If people, you know, took
16 it off a day or two later than instructed, how do you
17 handle that in the report back? So that's one
18 question.

19 And then the second question was, and
20 forgive my ignorance here, but I'm guessing the units
21 on the results are like, you know, micrograms per
22 gram of silicone or something like that. So for
23 analytes, where there are -- where we do know certain
24 concentrations are hazardous in air or in the body, I
25 know this is a little bit different. It's not

1 biomonitoring, it's not internal dose, it's not
2 ambient to air. But can you speak a little bit to
3 how, for example, we have, you know, a practice, if
4 we see really high levels of something in somebody,
5 you want to follow up with them and let them know.

6 So are there kind of levels you've
7 established where you would become concerned that
8 someone's extremely exposed and needs to be followed
9 up with? Or can in some way compare sort of the
10 units of measurement that you end up with to
11 regulatory or health-based benchmarks?

12 DR. HEATHER STAPLETON: Well, I'll go
13 first and then over to Kim. I know there was a lot
14 of questions in there, so I hope I can remember them
15 all. When we first started reporting on wristbands
16 in our lab, we were reporting on nanograms of
17 chemical per gram of wristband.

18 After we did that study, the Samon et al.,
19 2024 study where we looked at accumulation over time
20 and just saw that there was a strong almost linear
21 dependence. We have now moved to doing nanograms per
22 gram per day in all of our statistical analyses and
23 how we report them. You know, previously we made
24 sure there wasn't a lot of variance in the deployment
25 period, right? So if it wasn't more than 20 percent

1 we usually let it go and left it nanogram per gram.

2 Now I become more convinced, at least for
3 the chemicals we monitor, because I think they are in
4 the linear phase and there is some variability
5 depending on deployment time. We do a nanogram pre
6 gram per day and that's how we report them and share
7 them. But like Kim, I do think it's important for
8 the report back, you know, we have some studies where
9 report back blood PFAS levels and then we have some
10 with wristbands.

11 But both of them, you know, they look for
12 that strip chart, right? That strip chart is
13 comparing them to everybody else. And that's exactly
14 what they hone in on and they want to know are they
15 at the top, the bottom or the middle of the pack. So
16 I completely agree with what Kim said. I think it's
17 valuable and that's really what they want to know.

18 Not, you know, even with PFAS, I don't
19 think they care as much as I over the Nassim clinical
20 guidelines of 20 nanograms per ml? They want to know
21 if they're in the middle or in the high ends. So I
22 just, I do think there is some value to report back
23 there, keeping it on that basis. But I do use
24 nanograms per gram per day. I'm probably forgetting
25 the rest of your questions. If you want to remind me

1 or we could have Kim comment as well.

2 ACTING CHAIR CUSHING: I think you pretty
3 much hit on it. So you normalized by the amount of
4 time they wore it. That was my first question.

5 DR. HEATHER STAPLETON: We do.

6 ACTING CHAIR CUSHING: And the second one
7 was if you have any strategies for kind of comparing
8 your units to regulatory or health based benchmarks
9 for at least some chemicals and/or like flagging
10 particular individuals who are off the charts that
11 you think need to be followed up with. Because
12 there's actually like an acute health risk.

13 DR. HEATHER STAPLETON: Sure. We don't
14 actually put them into the framework right now. I
15 don't think we've had the case where we measured some
16 exposure that was really, really high that we were
17 worried about. You know, sometimes like in the
18 firefighters we'll see really high exposures to some
19 of the -- in one case, we saw really high exposure to
20 some of the flame retardants, but there's nothing
21 they can do about that.

22 And I don't want to alarm them because
23 they've already been banned. And some of those
24 exposures are probably coming from legacy products.
25 And we don't really have a threshold in blood, right?

1 So we haven't been confronted with that yet. And I
2 think that's something that needs some attention if
3 they're going to be put into that framework moving
4 forward, for sure. I don't know if Kim, if you have
5 additional thoughts on that.

6 DR. KIM ANDERSON: So we usually give the
7 results in like nanograms per gram wristband because
8 our screens do flirt with both ends of those
9 equilibrium and curve linear areas. So we're
10 oftentimes really broad chemicals. We do have Steven
11 O'Connell put a paper out where we have a pretty good
12 idea where the break is between dermal and air based
13 off some chem phys properties and some other things
14 that we've done with controlled exposure studies in
15 exposure boxes.

16 And so we have a pretty good idea. Is it
17 a inhalation or is it dermal? And where we're going
18 is we're adding performance reference compounds.
19 Those are essentially internal surrogates. And so it
20 gets at things like do you run all day or do you sit
21 all day? Or are you in the sauna all day or are you
22 in the Antarctic all day? So the performance
23 reference compounds essentially benchmark you into
24 where you are because those dissipation rates for a
25 few of those could be then modeled into the rest of

1 the compounds. And that's done with all the other
2 kinds of -- many of the other kinds of passive
3 samplers. So we're working on that.

4 But right now we're giving like nanograms
5 per gram wristband to our clients. Most of our -- I
6 think almost all of our chemicals don't really have
7 like a level that's part of the story is that we're
8 -- the chemicals that we're finding that are in 93
9 percent of the wristbands actually don't have a
10 level. And so that's why the story becomes how are
11 you relative to everyone else? What are the sources
12 of these chemicals? And so we really haven't gone
13 into that space yet.

14 PANEL MEMBER PADULA: We could share.

15 ACTING CHAIR CUSHING: Yeah. Amy.

16 PANEL MEMBER PADULA: One question I had
17 for Heather, this is Amy Padula. You know, I was
18 impressed with how many chemicals are, how are able
19 to be analyzed and also how you kind of cut the
20 wristband up to be able to do it all. I was
21 wondering, you know for the Biomonitoring Program,
22 whether there are certain classes of chemicals that
23 you would prioritize over others based on your
24 experience of analyzing so many different ones. Like
25 I guess, you know, with other studies there seems to

1 be a lot on pesticides, but it seems like other ones
2 haven't been done as much. I was wondering if you
3 had any thoughts on that.

4 DR. HEATHER STAPLETON: Yeah, sure. I
5 guess based on our experience I know pesticides come
6 up a lot. I just think we have to be careful with
7 pesticides because some of them are exposures all
8 diet and so we don't pick up a lot of them. But
9 there are some pesticides that are used in building
10 materials. So azoxystrobin for example, is a
11 fungicide that's applied to drywall. We picked that
12 up actually more commonly than I would expect, which
13 I think is coming from an indoor source.

14 But then you look pyraclostrobin and that
15 one's really more food and not in building materials
16 and we hardly ever picked that one up. So I think we
17 just have to keep in mind what we look for. Again,
18 you're focusing on those exposure routes that are
19 more inhalation, dermal, indoors. And so you're
20 going to miss things that are coming from diet.

21 I do think pesticides are of interest.
22 There's a lot of, you know, new use pesticides out
23 there, but there's so many of them. Ones that have
24 -- I think are really interesting are some of these
25 volatile PFAS that we're seeing in indoor

1 environments that haven't been well studied.

2 There's also, we're seeing a lot of -- I
3 think I showed it in one of those plots,
4 4-tert-octylphenol and nonylphenol, which I know
5 there's a lot of attention on those back when I was a
6 PhD student, but it kind of fallen off the radar. We
7 see very high levels of nonylphenol in almost every
8 single wristband we measure. And I am wondering if
9 that's coming from breakdown of an antioxidant that
10 has a nonylphenol substructure in it as a used in
11 some plastics. I'm not quite sure. We typically
12 think about that being coming from like detergents,
13 but we have phased those out of detergents a long
14 time ago. So I don't think they're coming from
15 detergents. I think there's probably another source.

16 But plastic additives in particular I
17 think are a big class of compounds that need a lot
18 more attention. And we pick up quite a bit of those,
19 whether that's a flame retardant additive or an
20 antioxidant, dyes, stabilizers, vulcanization agents.
21 There's a whole slew of these that I think have been
22 understudied that need a lot more attention as well.

23 So those are the few, and I'm kind of
24 biased to the flame retardants. I think there's
25 still some interesting things to focus on for some of

1 the flame retardants. Particularly, we focused a lot
2 on uses in furniture, but there's so many used in the
3 electronic sector that we don't know about. And so I
4 think, you know, more attention on those would be
5 helpful as well. So those are just some of my
6 initial thoughts.

7 PANEL MEMBER QUINTANA: Hi Jenny
8 Quintana. I was just -- I have a very practical
9 question. You showed that very nice Mylar bag and
10 little tin, Heather, for mailing to people. How do
11 you instruct participants to prepare a field blank?
12 Do you tell them like, open the tin and touch it and
13 pick it out and put it back in and mail 'em
14 separately or, you know, we've had a few participant
15 related mixups where everyone does it apparently
16 well, and then suddenly one of the exposed ones is
17 very low and the field blank is really high. I'm
18 just curious how you -- how you do field blanks for
19 those mailed in participant studies.

20 DR. HEATHER STAPLETON: So in many of our
21 studies we're doing consenting in these community
22 settings or specific site, and that's where we hand
23 out the kits. And so we bring field blanks with us
24 to those sites in the same packaging and in the same
25 materials. And then once we hand it to our

1 participant, we give it to a participant with a
2 self-addressed stamped envelope to mail it back to
3 us, you know, maybe the following week. So in those
4 cases, we're just taking field blanks with us to
5 those community events. Usually we try to open and
6 close them and put them back in the tins and then we
7 bring them back to the lab and that serves as our
8 field blank. We do not send a second wristband with
9 all the participants. Although that's something
10 we've talked about.

11 But I'll say in my experience, we haven't
12 come across big issues with field blanks compared to
13 what we measure on the wristbands. You know, we
14 certainly monitor them, blank, correct, we estimate
15 our detection limits based on the field blanks. We
16 do run laboratory processing blanks as well.

17 But they haven't really been an issue for
18 us, at least for the chemicals that we monitor in our
19 targeted panel. So that's, you know, that's
20 typically how we've been handling it. I'm sure there
21 are better ways to do it. But and we do have a lot
22 of collaborations with other groups across the
23 country and so sometimes they do things a little bit
24 differently than what we do, but so far it hasn't
25 been an issue.

1 PANEL MEMBER QUINTANA: Thank you.

2 ACTING CHAIR CUSHING: Sorry, you said
3 there were a couple online or these two that I see
4 before me. Okay, great. Nerissa.

5 DR. NERISSA WU: I think Kathleen had her
6 --

7 ACTING CHAIR CUSHING: Okay. Kathleen.

8 DR. KATHLEEN ATTFIELD: Kathleen
9 Attfield. Back to the results return type of
10 questions. So we have the situation where we're
11 picking up both the concentration in the air and
12 perhaps the dermal deposition but also the absorptive
13 capacity of the wristbands, of course, which is going
14 to be different for all your different chemicals. So
15 I'm just thinking like not only do participants look
16 at where they are for each one and that kind of
17 normalizes it, right.

18 But we've also talked to our other
19 biomonitoring colleagues in other states and they say
20 people also look, okay, which one's has the highest
21 numbers. And so then you have sort of two things
22 feeding into what makes the highest numbers. So
23 wondering if you've had to communicate on that aspect
24 at all to participants.

25 DR. KIM ANDERSON: We really have not had

1 a lot of people ask about the numbers. They barely
2 look at the axis. They just look at where they are
3 relative to the axis. Again, there aren't regulatory
4 levels even in air for most of the chemicals that
5 we're looking at. Like if we look at a host of
6 Alkylated PAHs, which are very abundant, other types
7 of chemicals, fragrances you know a lot of personal
8 care products, et cetera, there aren't regulatory
9 limits.

10 So the numbers are -- don't really mean
11 that much. I -- you know, if really if the numbers,
12 if you feel like they're going to be distracted by
13 the numbers, really don't have to put the numbers on
14 there if you felt it was a distraction, right? It's
15 just really to communicate that you're in the pack or
16 you're high relative to the pack. And these might be
17 the sources that you might consider reducing in your
18 -- in your life to reduce your exposure.

19 DR. NERISSA WU: This has been great.
20 Thank you so much for everything you've presented. I
21 think we have a lot to think about for the Program in
22 terms of, you know, what is and isn't biomonitoring
23 and how do we deal with our designated list. But one
24 of the real logistics for us is the cost of adding
25 new panels, the methods that we have and, you know,

1 the time it takes for to turn around results to our
2 participants because we try to get things back to
3 people within a year. Are -- can you talk a little
4 bit about that in terms of how you work with other
5 collaborators about the costs and how they compare
6 with some of the -- some of the more traditional
7 methods that we see.

8 DR. KIM ANDERSON: Right. So for us we
9 usually cut the wristband in half, archive half and
10 extract half. And the reason I extract half is
11 because my PAHs method, my alkylated method, my flame
12 retardant method, my phthalate method, my pesticide
13 method, my OPH method, chlorinated paraffin method,
14 my massive method, they all come off that one ml
15 extract. So I just aliquot out and go to all those
16 different instruments. So there's a cost savings, I
17 only have to extract the wristband once.

18 So they go to all those. So there's --
19 if you do more than one method, you get a discount.
20 Because I'm only extracting it once. The purge and
21 trap would be different because that has its own,
22 that -- then consumes the wristband for the purge and
23 trap method just like it would for a water sample or
24 otherwise. Typically, we like to get samples out
25 within 30 to 60 days. You know, we had 450 samples

1 here. We had them here for like 10 days. But those
2 are because they're using methods that are turn the
3 crank kind of methods for me. It would be different
4 if there was a method development or something.

5 But you're talking about probably doing
6 one of our methods that are off the shelf. Other
7 commercial laboratories I think would be under 30
8 days, typically not Antionia's at CDC, she's much
9 longer, love her, but she's long. But for us it's
10 usually 30 to 60 days.

11 DR. HEATHER STAPLETON: Sure. My
12 situation is probably a little more complicated. My
13 lab is part of the NIH, Human Health Environmental
14 Analysis Resource or HHEAR, which is going to be
15 sunset, but it's still running right now. And
16 because of that, I have to set my lab up as I can't
17 do fee for service. So we have to write subcontracts
18 and be part of funded studies to support any analyses
19 in my lab because the lawyers consider it an audit
20 risk.

21 So when I collaborate with folks, it's
22 usually through some kind of subcontract on a NIH
23 grant. And we kind of give them a budget based on
24 the number of samples and what kind of panels they
25 are interested in. And so the numbers I'm about to

1 give are for direct costs because then Duke adds on
2 the indirect costs on top of that as well.

3 So we start with our basic panel, that's
4 just the extraction on the electron impact mode,
5 which does that targeted panel that I talked about
6 for BFRs and PAHs and phthalates and pesticides and
7 things. We charge \$250 a sample for that one. If
8 you add on the injection into the NCI instrument for
9 the brominated flame retardant stacks and furans,
10 it's an extra \$50 per sample. If we add on the
11 volatile PFAS, it's another \$50 a sample. And then
12 if we do both targeted and non-targeted on those
13 samples, then it's \$500 a sample. So that's our
14 current rates. We'll likely have to adjust those.

15 But like Antionia, we have a large queue
16 because we are supporting analyses for all these
17 other programs and consortiums right now that we
18 actually have a queue of samples to run that will
19 take us through at least next summer right now before
20 we can do anything else.

21 Now we do provide wristbands to a number
22 of collaborators because, you know, we ask them to
23 buy the wristbands and then ship them to our lab and
24 we just clean them and put them in the Mylar bags and
25 tins and then return them to them for use in their

1 studies. And if it's a small number of samples, less
2 than a hundred, we usually do it at no cost. If it
3 ends up being hundreds to thousands then we set up a
4 subcontract and they help buy some supplies for that.

5 But the cost of the kits that we prepare
6 are under \$5 a kit. They're not that expensive.
7 When you account for the labor and the raw materials
8 are very small. It's the labor and just packaging
9 them. That takes time.

10 ACTING CHAIR CUSHING: Thank you so much
11 Heather and Kim. This is -- I personally have
12 learned a lot and I think this has been a very
13 valuable conversation for the Biomonitoring
14 California. We're going to have to move to our open
15 public comment period. If there are no open public
16 comments, we might have a few minutes for another
17 question or two.

18 But let me pause here and announce that
19 we do have time allotted here at the end for open
20 public comment during which commenters can provide
21 comment on any topic related to Biomonitoring
22 California. Webinar attendees can submit written
23 comments and questions via the Q and A function of
24 Zoom or by e-mail to biomonitoring@oehha.ca.gov and
25 we'll read them out loud. Or if you wish to speak,

1 you can use the raise hand function and Rebecca will
2 call on you. And if you're attending in person you
3 wish to comment, please come ahead -- come to the
4 front or raise your hand so that I can call on you.

5 Rebecca, do we have anyone online wishing
6 to comment?

7 REBECCA BELLOSO: No, not at this time.

8 ACTING CHAIR CUSHING: Nerissa?

9 DR. NERISSA WU: So just to move us away
10 from the wristbands for a minute, I want to make sure
11 we had time if we spoke about speciated arsenic and
12 phenols this morning. And we're looking for input if
13 you have ideas for any additional analyses we should
14 be doing or partners who might be interested in
15 working with us. Particular subject matter experts
16 whom we could talk to about either arsenic or phenol.

17 So just wanted to remind you that that's
18 an outstanding question. If you have thoughts, we
19 could either bring the conversation there or reach
20 out to us as a program later. I know there are
21 probably lots of other questions about wristband.

22 ACTING CHAIR CUSHING: Any thoughts on
23 that -- on that question about arsenic and phenols?
24 I mean, I will just off the top of my head say I
25 haven't given it much thought, but you know, similar

1 to the work that was done, looking at PFAS and
2 drinking water, seems like that would be worthwhile
3 to do something similar with the arsenic. Especially
4 if you have some geographic variation in where you're
5 CARE-2 participants are, there's 200 water systems in
6 LA County, so there is quite a bit of variation in
7 arsenic. It might tell you something about the
8 source.

9 Anyone else in the public wishing to
10 speak online or in person?

11 REBECCA BELLOSO: No, we haven't received
12 a request from the public.

13 ACTING CHAIR CUSHING: Okay. So I guess
14 we can just open back -- sorry. Okay. So we have
15 five more minutes. We can return again to the
16 question of wristbands or this question about
17 arsenic, phenols or anything else if anyone has
18 remaining thoughts or comments to share.

19 Okay. Well, then we'll go ahead and wrap
20 up and adjourn. Thank you everyone for participation
21 and to the staff for their fantastic presentations
22 and to our guest speakers for everything you've
23 shared. Now I will -- a transcript of this meeting
24 will be posted on the Biomonitoring California
25 website when it is available. And the meeting is

1 adjourned. Thanks.

2 (Thereupon, the California
3 Environmental Contaminant
4 Biomonitoring Program, Scientific
5 Guidance Panel meeting adjourned at
6 4:00 p.m.)

1 STATE OF CALIFORNIA)
2 COUNTY OF LOS ANGELES) Ss.
3)

4 I, BRANDON T. IORLANO, Notary Public in
5 and for the State of California, do hereby certify:
6 That on August 27, 2025, at 10:00 a.m. PST appeared
7 before me, the foregoing meeting of California
8 Environmental Contaminant Biomonitoring Program
9 Scientific Guidance Panel, and was recorded by me,
10 Brandon Iorlano, a Certified Electronic Reporter of
11 the State of California, and thereafter transcribed
12 under my direction, by computer-assisted
13 transcription.

14 I further certify that I am not counsel
15 for or any of the parties hereto, nor in any way
16 interested in the outcome of said meeting.
17
18
19

20 DATED: October 5, 2025
21

22 
23 _____

24 BRANDON T. IORLANO, CER 4221
25 Notary Public, State of California
Expires: November 21, 2026

1 State of California)
)Ss
2 County of Los Angeles)
3


4 I, IRENE NAKAMURA, Certified Shorthand
5 Reporter, Certificate No. 9478, for the State of
6 California, hereby certify:

7 The foregoing meeting was thereafter
8 transcribed by me;

9 The foregoing transcript is a true and
10 correct transcript of the proceedings;

11 I further certify that I am neither
12 counsel for nor related to any party to said action,
13 nor in any way interested in the outcome thereof.

14 In witness whereof, I have hereunto
15 subscribed my name this 5th day of October, 2025.

16 
17
18

19 IRENE NAKAMURA, RPR, CLR
20 Certified Shorthand Reporter
In and for the State of California
21 License No. 9478, Nevada No. 893
Hawaii No. 496, Washington No. 3177
Illinois CSR No. 084.004909
22
23
24
25