

CALIFORNIA ENVIRONMENTAL CONTAMINANT  
BIOMONITORING PROGRAM  
(BIOMONITORING CALIFORNIA)  
SCIENTIFIC GUIDANCE PANEL MEETING  
CONVENED VIA HYBRID FORMAT BY:  
OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT  
CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY  
STATE OF CALIFORNIA

ELIHU M. HARRIS STATE OFFICE BUILDING  
GEORGE ALEXEEFF ENVIRONMENTAL HEALTH LIBRARY  
16TH FLOOR  
1515 CLAY STREET  
OAKLAND, CALIFORNIA

THURSDAY, NOVEMBER 7, 2024  
1 P.M.

JAMES F. PETERS, CSR  
CERTIFIED SHORTHAND REPORTER  
LICENSE NUMBER 10063

J&K COURT REPORTING, LLC

## APPEARANCES

### PANEL MEMBERS:

Thomas McKone, PhD, Acting Chair

Carl F. Cranor, PhD, MSL(Remote)

Lara Cushing, PhD, MPH

Oliver Fiehn, PhD(Remote)

Ulrike Luderer, MD, PhD

Amy Padula, PhD, MSc

Penelope (Jenny) Quintana, PhD, MPH(Remote)

José R. Suárez, MD, PhD, MPH

### OFFICE OF ENVIRONMENTAL HEALTH HAZARD ASSESSMENT:

Dave Edwards, PhD, Acting Director

Rebecca Belloso, MPH, Health Program Specialist I, Safer Alternatives and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Aalekhya Reddam, PhD, Research Scientist III, Safer Alternatives and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

Martha Sandy, PhD, MPH, Chief, Reproductive and Cancer Hazard Assessment Branch

McKenna Thompson, MPH, Research Scientist I, Safer Alternatives and Biomonitoring Section, Reproductive and Cancer Hazard Assessment Branch

APPEARANCES CONTINUED

CALIFORNIA DEPARTMENT OF PUBLIC HEALTH:

Kathleen Attfield, ScD, Chief, Exposure Surveillance and  
Epidemiology Unit, Environmental Health Investigations  
Branch

Jeff Wagner, PhD, Chief, Environmental Health Laboratory  
Branch

GUEST SPEAKER:

Kimberly Valle, MS, University of California, Merced

ALSO PRESENT:

Asa Bradman, PhD, University of California, Merced

Ahimsa Porter Sumchai, MD, Hunters Point Community  
Biomonitoring Program

<u>INDEX</u>	<u>PAGE</u>
Welcome	
David Edwards, PhD, Acting Director, Office of Environmental Health Hazard Assessment (OEHHA)	1
Overview of the Meeting	
Tom McKone, Acting Chair, Scientific Guidance Panel (SGP)	4
Program Update	
Presentation: Kathleen Attfield, ScD, California Department of Public Health (CDPH)	7
Panel and Audience Questions	19
Presentation: Rebecca Belloso, MPH, OEHHA	23
Panel and Audience Questions	29
Open Discussion Period and Input	33
Updates on Air Pollution Community Biomonitoring Studies	
Presentation: Jeff Wagner, PhD, Environmental Health Laboratory, CDPH	45
Panel and Audience Questions	57
Open Discussion Period and Input	63
Presentation: Kimberly Valle, MS, University of California, Merced	73
Panel and Audience Questions	84
Open Discussion Period and Input	92
Planning for 2025 SGP Meetings	97
Open Public Comment Period	111
Wrap-up and Adjournment	115
Reporter's Certificate	117

PROCEEDINGS

ACTING DIRECTOR EDWARDS: So good afternoon, everyone. And I'd like to welcome all the Panel members and the audience to the November meeting of the Scientific Guidance Panel for Biomonitoring California, more formerly known as the California Environmental Contaminant Biomonitoring Program. So thanks for all of you for joining today. It's great to see a good audience in the room as well.

So the Panel last met on July 19th, 2024. And the July meeting included updates on Biomonitoring California's Program activities, including an update on the East Bay Diesel Exposure Project analysis of urinary metabolite levels as predictors of air pollution exposures and a progress update on the laboratory method development for analysis of metabolites of VOCs, or volatile organic compounds, in urine.

In the second half of the meeting, the Panel heard from the Program staff presenting analyses of data from multiple Biomonitoring California studies on PFAS and other persistent organic pollutant levels measured in blood. And a guest speaker from OEHHA presented data on PFAS levels measured in fish caught in California and provided background on the office's process for developing fish advisories.

1           So key discussion topics included the examining  
2 East Bay Diesel Exposure Project results related to  
3 predictors of diesel exhaust exposure and observed  
4 exposure patterns, the Program's development of the  
5 laboratory methods analyzing VOC metabolites in urine,  
6 exploring how fish and shellfish consumption contributes  
7 to PFAS exposures in the San Francisco Bay through  
8 findings from the Asian Pacific Islander Community  
9 Exposures Project, considerations for OEHHA's process in  
10 developing PFAS-related fish advisories, trends of PFASs  
11 in persistent organic pollutants in pregnant Californians  
12 from data collected in the Measuring Analytes in Maternal  
13 Archived Samples, or MAMAS study.

14           A summary and transcript of this meeting is  
15 posted on the July meeting webpage at the Program's  
16 website, [biomonitoring.ca.gov](http://biomonitoring.ca.gov).

17           I'd also like to announce that for today Panel  
18 Member Tom McKone will be acting as the SGP Chair for this  
19 meeting. Thank you, Tom.

20           And now, I'd like to invite the Panel members to  
21 introduce themselves by name and affiliation. I'll start  
22 with Jenny Quintana, who is attending remotely. Jenny has  
23 been granted a reasonable accommodation to attend this  
24 meeting remotely. Her remote attendance will count  
25 towards the requirement that a majority of members shall

1 be physically present at the same time, same  
2 teleconference location.

3 Jenny.

4 PANEL MEMBER QUINTANA: Hi. My name is Penelope,  
5 or Jenny, Quintana. And I am a Professor in Environmental  
6 Health at the School of Public Health at San Diego State  
7 University.

8 ACTING DIRECTOR EDWARDS: Thanks.

9 All right. I'll next call on the other Panel  
10 members that are attending remotely starting with Carl.

11 PANEL MEMBER CRANOR: Carl Cranor, Department of  
12 Philosophy and faculty member of Environmental Toxicology,  
13 Emeritus in both cases. I just retired.

14 ACTING DIRECTOR EDWARDS: Thanks, Carl. Congrats  
15 on your retirement.

16 And next, Oliver.

17 PANEL MEMBER FIEHN: My name is Oliver Fiehn. I  
18 am Professor at the University of California in Davis.  
19 I'm in the Genome Center in the Department of Molecular  
20 and Cellular Biology.

21 ACTING DIRECTOR EDWARDS: Great. Thanks.

22 Now, I'll go around the room.

23 José.

24 PANEL MEMBER SUÁREZ: José Suárez, Associate  
25 Professor at UC San Diego and Director of the Climate and

1 Environmental Health Research Program and the Division as  
2 well.

3 PANEL MEMBER CUSHING: Hi. I'm Lara Cushing,  
4 Associate Professor at UC Los Angeles in the Department of  
5 Environmental Health Sciences.

6 ACTING CHAIR MCKONE: Tom McKone. I'm Professor  
7 Emeritus in the School of Public Health at University of  
8 California, Berkeley, and also retired affiliate with the  
9 Lawrence-Berkeley National Laboratory.

10 PANEL MEMBER PADULA: My name is Amy Padula and  
11 I'm an Associate Professor in the Department of  
12 Obstetrics, Gynecology and Reproductive Sciences at  
13 University of San Francisco -- I'm sorry, University of  
14 California, San Francisco.

15 PANEL MEMBER LUDERER: Hi. My name is Ulrike  
16 Luderer. I'm Professor in the Department of Environmental  
17 and Occupational Health in the Wen School of Public Health  
18 at UC Irvine.

19 ACTING DIRECTOR EDWARDS: All right. Well, now I  
20 will hand this over to our Acting Panel Chair, Tom McKone,  
21 who will provide more details about today's meeting.

22 ACTING CHAIR MCKONE: So I want to add my welcome  
23 to everybody. It's a nice experience to be chairing such  
24 a great organization. I want to begin with a reminder  
25 that the Panel members are asked to please comply with the



1 Bagley-Keene Opening Meeting requirements that all  
2 discussions and deliberations of the Panel about subject  
3 matters at issue today need to be conducted during the  
4 meeting, not on breaks or with individual members of the  
5 Panel, on or offline, including via phone, email, chats or  
6 text messages.

7           Panel members who have not been granted a  
8 reasonable accommodation and are attending remotely are  
9 expected to visibly appear on camera during the open  
10 portion of the meeting. If you are unable to keep your  
11 cam on during the meeting because it's technologically  
12 impractical, please make an announcement when you turn  
13 your camera off. Additionally, if someone older than 18  
14 is in the room with Panelists, or attending remotely, you  
15 must disclose the presence of that person and their  
16 general relationship to you. I want to take a moment here  
17 if anyone has, to let us know there's someone else in the  
18 room?

19           I guess not.

20           So we have goals for today's meeting. We will  
21 first hear an update on the Program activities, including  
22 launching an evaluation study on results of return  
23 materials from the Biomonitoring component of the San  
24 Joaquin Valley Pollution and Health Environmental Research  
25 Study, also known as BiomSPHERE or the BiomSPHERE study.

1 The Panel will also hear updates from Program staff and a  
2 guest speaker on two air pollution community biomarker --  
3 biomonitoring studies. Finally, we'll hear about and have  
4 an opportunity to provide input on plans for the  
5 Scientific Guidance Panel meetings in 2025.

6 There will be time for questions from Panel and  
7 audience after each presentation. If SGP members wish to  
8 speak or ask questions, please raise your hand and I will  
9 call on you at the appropriate time and then you can ask  
10 your question and provide your comment. If online webinar  
11 attendees have questions or comments during the question  
12 period after each talk, you can submit your questions via  
13 the Q&A feature of the Zoom webinar or by email to  
14 biomonitoring@oehha.ca.gov. We will not be using the chat  
15 function during meeting -- during the meeting.

16 Please keep your comments brief and focused on  
17 items under discussion. Relevant comments will be read  
18 aloud and paraphrased when necessary. If online attendees  
19 wish to speak during the public comment period and  
20 discussion sessions, please use the raise-hand feature in  
21 Zoom webinar and McKenna Thompson or Rebecca Belloso will  
22 call on you at the appropriate time.

23 If you're attending in person and wish to comment  
24 during the public comment period and discussion sessions,  
25 please come to the front, or raise your hand, and I will

1 call on you at the appropriate moment. For the benefit of  
2 the transcriber, please clearly identify yourself before  
3 providing comments and write your name and affiliation on  
4 the sign-in sheet at the back of the room.

5 So now, we'll move on to our Program. We're  
6 going to begin with our first presentation, which is by  
7 Kathleen Attfield. Kathleen is the Chief of the Exposure  
8 Surveillance and Epidemiology Unit in the Environmental  
9 Health Investigations Branch, that's EHIB, at the  
10 California Department of Public Health, CDPH. She will  
11 provide an update on current Program activities.

12 I turn the podium over.

13 (Slide presentation).

14 DR. KATHLEEN ATTFIELD: Good afternoon. Thank  
15 you.

16 Speak a little louder?

17 Okay. Thank you for attending today. And I'll  
18 get started with our Program update.

19 [SLIDE CHANGE]

20 DR. KATHLEEN ATTFIELD: Today, I'll walk through  
21 aspects of four components of our Program work, including  
22 updates on our surveillance and community focused studies,  
23 updates on our laboratory activities, and from our  
24 communications team.

25 [SLIDE CHANGE]

1 [SLIDE CHANGE]

2 DR. KATHLEEN ATTFIELD: Starting with  
3 Surveillance. As the Panel is aware, our primary Program  
4 mandate is to conduct surveillance studies to understand  
5 trends in environmental exposures across California. Our  
6 current activities include these three projects. And I'll  
7 spend the next few slides giving you some more details  
8 about the California Regional Exposure Study.

9 So as a reminder, this spanned three regions in  
10 California from 2018 to 2020 and covered a variety of  
11 analyte panels. Then I'll return with some information on  
12 our STEPS initiative and the work we're doing with planned  
13 future surveillance.

14 [SLIDE CHANGE]

15 DR. KATHLEEN ATTFIELD: Of course, the planning  
16 phase and sample collection for the CARE study is many  
17 years in the past now, but our laboratories have been  
18 willing to go back to banked samples that we had in order  
19 to fill in additional information about arsenic speciation  
20 and environmental phenols for participants who didn't  
21 receive those in the first round. And we've received that  
22 information back from the laboratories for arsenic  
23 speciation and anticipate returning that to our  
24 participants when we receive the phenols. And we're  
25 planning for this in the spring of 2024-25.

1           Our epi analysts have been diving deeper into the  
2 data of CARE. You earlier this year saw a presentation on  
3 associations with drinking water and PFAS, so that's being  
4 finalized, and it's in draft manuscript form. We've had a  
5 Boston University graduate student who's been looking into  
6 dietary factors from CARE a PFAS consumption, and that  
7 analysis is wrapping up with a manuscript also ready for  
8 submission.

9           I'll talk a little bit more about some of our  
10 metals work in a moment, but also wanted to acknowledge  
11 the other aspects of our communications, including fact  
12 sheets and other public-facing materials, as well as  
13 presentations just in the last month to the Regional Water  
14 Works Association and the International Society of  
15 Exposure Science.

16                               [SLIDE CHANGE]

17           DR. KATHLEEN ATTFIELD: So to provide more  
18 information on our work with the metals, data from CARE,  
19 I'll break the analytes into two groups. So for those  
20 which -- for which we have levels of concern or LOCs, and  
21 for those we reach out to participants to do follow-up  
22 when we see the levels that are elevated. And so these  
23 metals are arsenic, cadmium, lead, and mercury. Our other  
24 groups of metals are those that actually don't often  
25 receive as much attention from our groups. So we are very

1 lucky to have a USC intern, Raymond Hughley who's been  
2 working on these other metals, which include antimony,  
3 cobalt, manganese, molybdenum, thallium and uranium.

4 [SLIDE CHANGE]

5 DR. KATHLEEN ATTFIELD: This table from left to  
6 right indicates how we walk through our analyses and  
7 activities related to analyte data that we receive. So  
8 our notification of -- to folks with elevated levels has  
9 already occurred for LOC metals. That, of course, is not  
10 applicable for the other metals. And we have returned all  
11 the results except for those speciated arsenic results  
12 that I just mentioned.

13 In our CARE report, we have already compared the  
14 LOC metals to national levels and are newly doing so for  
15 our other metals. So I'll give you a little sneak  
16 preview. We are seeing that levels are -- up here to be  
17 lower for urinary cobalt as compared to national data from  
18 concurrent time period in NHANES and a bit higher for  
19 manganese in blood compared to NHANES.

20 [SLIDE CHANGE]

21 DR. KATHLEEN ATTFIELD: Further, current work  
22 includes examining demographic and regional trends for the  
23 other metals as well as looking at associations of  
24 questionnaire data for the LOC metals.

25 [SLIDE CHANGE]

1 DR. KATHLEEN ATTFIELD: For our other two  
2 surveillance efforts, Studying Trends in Exposure in  
3 Prenatal Samples, or STEPS. This is a study you've heard  
4 of in the last year, where we're collecting prenatal  
5 samples, some banked, some freshly collected from three  
6 counties covering a wide range of time, so that we can  
7 look PFAS trends. So current work has been in receiving  
8 these freshly pulled samples for us in 2024 from Los  
9 Angeles County and ongoing laboratory work on those  
10 samples from Orange County in 2015, 2018, and 2021. We're  
11 in the very early phases of thinking about what's the next  
12 step in surveillance, once STEPS may be drawing to a  
13 close. And that our current activities involve exploring  
14 possible collaborations with other surveys, such as the  
15 California Health Interview Survey and developing criteria  
16 for study designs.

17 [SLIDE CHANGE]

18 DR. KATHLEEN ATTFIELD: So moving on to community  
19 focused studies.

20 [SLIDE CHANGE]

21 DR. KATHLEEN ATTFIELD: We have a lot of activity  
22 on several studies. So today, I'll just give a brief  
23 update on three of these.

24 [SLIDE CHANGE]

25 DR. KATHLEEN ATTFIELD: So for our first one the

1 Asian Pacific Islander Community Exposures Project. Last  
2 month there was a presentation on the work associating  
3 PFAS with fish consumption to the International Society of  
4 Exposure Science. And there is a draft paper that  
5 hopefully will soon be getting submitted.

6 [SLIDE CHANGE]

7 DR. KATHLEEN ATTFIELD: For FRESSCA-Mujeres, in  
8 late August the FRESSCA-Mujeres and FRESSCA studies held  
9 in-person community meetings with participants and  
10 community members in Coalinga and Arvin to discuss air  
11 monitoring results, recommendations, and next steps. The  
12 study partners, Public Health Institute and the Central  
13 California Environmental Justice Network led these  
14 meetings in Spanish and with support from the  
15 Biomonitoring California staff.

16 They did hear voluntary testimonials from  
17 participants on decreased allergies and asthma symptoms  
18 during the period when they had indoor air cleaners and  
19 filters affixed to the swamp coolers as part of this  
20 study. So that was gratifying to hear.

21 The study team continues to evaluate air  
22 monitoring and questionnaire data and await the results  
23 from the laboratories on urinary samples testing for VOCs,  
24 PAHs, and tobacco smoke.

25 [SLIDE CHANGE]



1 DR. KATHLEEN ATTFIELD: Moving on to the  
2 biomonitoring component of the San Joaquin Valley  
3 Pollution and Health Environmental Research, or  
4 BiomSPHERE, study. They returned results on biomarkers of  
5 response to participants. And as a reminder, this is  
6 involves 64 families in the Fresno, Stockton area with a  
7 parent and child pair per family. The study team  
8 continues to evaluate air monitoring and questionnaire  
9 data and awaiting results for VOCs from the laboratories.  
10 And in a moment, you will hear more information about  
11 preparations for evaluating the results return materials  
12 from Rebecca.

13 [SLIDE CHANGE]

14 DR. KATHLEEN ATTFIELD: Moving on to laboratory  
15 updates.

16 [SLIDE CHANGE]

17 DR. KATHLEEN ATTFIELD: Our Environmental  
18 Chemistry Lab at the Department of Toxic Substances  
19 Control is continuing to progress on developing methods  
20 for cyclosiloxanes and PAHs in serum. Some of that  
21 progress was shared at SETAC conference last month. For  
22 PFAS there's a number of activities with proficiency  
23 testing and standard material check, and I am very  
24 gratified to see that they have marched through 300  
25 samples for our STEPS analysis. It will be very exciting

1 to see the results coming soon. For our POPs panel,  
2 there's proficiency testing occurring with data recently  
3 submitted.

4 [SLIDE CHANGE]

5 DR. KATHLEEN ATTFIELD: From our Environmental  
6 Health Lab at the Department of Public Health, first I'll  
7 talk a bit about the metals progress that's been going on.  
8 So there's -- I will talk a little bit more about the  
9 addition of nickel to the method. But in the meantime,  
10 let's acknowledge all the wonderful work that they've had  
11 to do to keep the methodology up-to-date and up to speed  
12 with proficiency testing, and standard material check, and  
13 certification. The metals -- the nickel method  
14 development was tested through our Intraprogram Pilot  
15 Project, where we received the data in June, which I'll  
16 give to you in just a moment, and have been applying the  
17 method to FRESSCA-Mujeres, which has been returned to the  
18 OEHHA staff with further arsenic speciation in progress.

19 [SLIDE CHANGE]

20 DR. KATHLEEN ATTFIELD: As I mentioned, there's  
21 phenols analysis ongoing for CARE-LA, finalizing the 346  
22 samples. For our hydroxylated PAHs and VOCs continuing  
23 standard material check through materials provided by the  
24 CDC Biomonitoring Program. Both of these -- the analyte  
25 panels also have IPP testing, under -- which is undergoing

1 data review for 38 or 39 samples. And for hydroxylated  
2 PAHs, the FRESSCA-Mujeres is finalizing analysis, and for  
3 VOCs additional analysis is complete and under review for  
4 California Fire Fighters Study.

5 [SLIDE CHANGE]

6 DR. KATHLEEN ATTFIELD: So I was mentioning our  
7 Intraprogram Pilot Projects without giving a lot of  
8 context and I know we have some newer members of the  
9 Panel. So I just wanted to provide the context that  
10 the -- we perform these in order to demonstrate readiness  
11 of new or modified methods for use in studies involving  
12 the public. And we consider these dress rehearsals, where  
13 we follow the process from sample collection, to  
14 laboratory analysis, to participant report back. These  
15 also help provide evidence of having detectable values in  
16 the range that the assay can provide and in the media type  
17 that we choose, provide seed data for method publication  
18 for the laboratories, and we actually have interest in  
19 developing these similar procedures for work when we  
20 involve external laboratories to the Program.

21 So I was talking about some of the IPPs that are  
22 in progress, but recent examples of completed ones were  
23 expanded -- the expanded PFAS panel, our work with the  
24 University of Washington on quaternary ammonium compounds,  
25 and as I said nickel.

1 [SLIDE CHANGE]

2 DR. KATHLEEN ATTFIELD: So a little information  
3 about those results from the testing of the nickel method.  
4 This was added to our air polluting -- to our metals  
5 panel, because of its interest in the AB 617 related  
6 community studies. That's an air pollutant of interest.  
7 The addition to the metals panel did not involve -- did  
8 not require substantial changes to the methodology, though  
9 there is interest in lowering the method detection limits  
10 in the future with an acidic -- a switch to an acidic  
11 method. The IPP method, once supplied, was able to  
12 generate method detection limits similar to those of  
13 NHANES and pretty similar detection frequencies to 50th  
14 and 90th percentiles. And if you'd prefer to see this  
15 data adjusted for creatinine, which you can see here.  
16 It's a slight bit higher than NHANES but, of course, is a  
17 small sample size.

18 [SLIDE CHANGE]

19 [SLIDE CHANGE]

20 DR. KATHLEEN ATTFIELD: Also, just to make note,  
21 that the Environmental Health Laboratory and both  
22 laboratories are interested in identifying additional  
23 biomarkers for inclusion in older methods and additions to  
24 the list of designated chemicals through their use  
25 semi-targeted new approaches, specifically related to

1 additional metabolites for PAHs and VOCs and for adding to  
2 the potential designated chemicals list of some  
3 environmental phenols.

4 [SLIDE CHANGE]

5 DR. KATHLEEN ATTFIELD: All right. So moving on  
6 to our communications team.

7 [SLIDE CHANGE]

8 DR. KATHLEEN ATTFIELD: You will hear more about  
9 this in a moment of all the hard work it takes to put  
10 together results return.

11 [SLIDE CHANGE]

12 DR. KATHLEEN ATTFIELD: But for those who haven't  
13 seen these before, just a quick look into what we supplied  
14 to our participants for our nickel results, where we  
15 provide the result comparison to 50th and 90th percentile  
16 in tabular and text format.

17 [SLIDE CHANGE]

18 DR. KATHLEEN ATTFIELD: Contextual information  
19 about where that analyte can be found, what the possible  
20 health concerns are, and what are possible ways to reduce  
21 exposure.

22 [SLIDE CHANGE]

23 DR. KATHLEEN ATTFIELD: Additional resources are  
24 made available and these are always posted online, so that  
25 it's open to the public who will also be able to benefit

1 from this information.

2 [SLIDE CHANGE]

3 DR. KATHLEEN ATTFIELD: Our Biomonitoring and  
4 Outreach Communications Unit has been hard at work on  
5 various fact sheets that reflect their pillars of  
6 communication and accessibility, engagement and outreach.  
7 These are lay-friendly, concise documents meant to distill  
8 the complex research.

9 Here on the left, we have the fact sheet for the  
10 Foam Replacement and Environmental Exposure Study, which  
11 is in review. And on the right, a fact sheet on arsenic  
12 in rice, where it's in its final editing stages and  
13 importantly has gone through a transcreation process,  
14 where it's both adjusted for language and cultural  
15 sensitivities for Chinese, Vietnamese, and Spanish  
16 audiences and language preference.

17 [SLIDE CHANGE]

18 DR. KATHLEEN ATTFIELD: Two additional fact  
19 sheets that are underway address the PFAS and seafood  
20 consumption and PFAS and drinking water consumption.

21 [SLIDE CHANGE]

22 DR. KATHLEEN ATTFIELD: So with that, I just want  
23 to acknowledge all the wonderful staff it takes to do this  
24 great work, say hello to some new staff members. We have  
25 Ian Tang in the back, a Senior Epidemiologist, Justin

1 Sturgess and Kaitlin Stitt at ECL, and saying goodbye to,  
2 and thank you to, Jonathan Gallardo.

3 [SLIDE CHANGE]

4 DR. KATHLEEN ATTFIELD: So with that, I will  
5 happily take any questions.

6 ACTING CHAIR MCKONE: Okay. Well, thank you.

7 We have time -- just a brief time now for  
8 questions that are short and more of a clarification  
9 nature. We will take more substantive questions after our  
10 second Program overview presentation. So we can start  
11 with the Panel members. And actually, I can't see the  
12 people online to see who's asking a question, if they have  
13 questions. No, I mean, our Panel members.

14 Anyone around the table here, questions, comment,  
15 clarifications?

16 PANEL MEMBER LUDERER: I just have a quick  
17 question about the arsenic speciation. Is there -- do you  
18 have kind of a level that the total arsenic has to be at  
19 before you can speciate it or --

20 DR. KATHLEEN ATTFIELD: Well, that's what we did  
21 in the first round. Yeah, we had a threshold that we used  
22 and then now we're going back and speciating everyone, so  
23 that we can have additional information in order to really  
24 look into the inorganic species and have a full  
25 distribution of information rather than just on the select

1 few that we had the first go-round.

2 PANEL MEMBER LUDERER: The reason I ask is I'm  
3 very interested because the commercial labs usually when  
4 we request speciation, very often they don't do it,  
5 because they say they were -- the total level was too low  
6 for them to be able to do that. So I was just curious  
7 about that.

8 DR. KATHLEEN ATTFIELD: Oh, okay. I haven't --  
9 (Question off the record).

10 DR. KATHLEEN ATTFIELD: Yes. Yeah, there is a --  
11 yeah, there is a paper that recently came out that  
12 describes our protocol for following up with participants  
13 of the elevated arsenic levels.

14 ACTING CHAIR MCKONE: Okay. Other brief  
15 questions and clarifications?

16 PANEL MEMBER SUÁREZ: Well, very nice  
17 presentation. Very -- just a quick question here. So you  
18 mentioned that you've been working on the development of  
19 the expanded measures of PFAS as well with -- and also the  
20 quaternary ammonium compounds, which is pretty exciting.  
21 Where is this development at right now and when do you  
22 think it might be ready to be implemented in different  
23 studies?

24 DR. KATHLEEN ATTFIELD: Which one?

25 PANEL MEMBER SUÁREZ: For both of them.



1 DR. KATHLEEN ATTFIELD: Oh, both of them. So the  
2 expanded PFAS method, that was presented -- whoops -- in  
3 March this year to the Panel. That's actually in use  
4 right now for the STEPS initiative on the banked maternal  
5 samples. The quaternary ammonium compounds, that was  
6 actually done by an external lab and I can pull up -- I  
7 had some extra slides about that, if you'd like to see  
8 them.

9 But for those, the initial look into them, for  
10 the urinary levels amongst sort of a general population  
11 type group, we had very few detects. And it was only when  
12 we moved to a group of more health care associated  
13 workers, and this is during the beginning of the pandemic,  
14 that we began to see some detections. So that hasn't been  
15 something that we decided to move forward with and bring  
16 in-house yet.

17 PANEL MEMBER SUÁREZ: Got it. Thank you.

18 ACTING CHAIR MCKONE: Do we have enough time to  
19 move to the question. Rebecca was there an online  
20 question?

21 REBECCA BELLOSO: There was no online question.

22 ACTING CHAIR MCKONE: Okay. We had one in the  
23 audience.

24 DR. AHIMSA PORTER SUMCHAI: My name is Dr. Ahimsa  
25 Porter Sumchai, the founder and principal investigator for

1 the Hunters Point Community Biomonitoring Program. As a  
2 physician, I want to commend you for the work that you're  
3 doing on biomonitoring of nickel. In our own program, we  
4 are serving in very Southeast San Francisco, the EPA  
5 screen assigns a 95 to a hundred percent ranking for  
6 diesel particulates. And we have evaluated two children  
7 and two adults who come in with severe eczema including a  
8 four year old who's had eczema since birth, which is kind  
9 of unbelievable. And in all four cases, nickel was  
10 elevated.

11 Nickel is a component of diesel exhaust, and as a  
12 physician, I am convinced that some of the atopic  
13 dermatitis exhibited symptoms that we haven't seen in  
14 children, especially those who are being transported on  
15 diesel-powered school buses may be the result of nickel.  
16 So I do want you to prioritize diesel exhaust as a source  
17 of nickel exposure.

18 ACTING CHAIR MCKONE: Thank you.

19 DR. KATHLEEN ATTFIELD: Thank you for the  
20 information.

21 ACTING CHAIR MCKONE: Okay. Other comments  
22 online?

23 No.

24 All right. I think we'll move on then to our --  
25 so that we have more time at the end for discussion and

1 questions of both presentations. We're going to move on  
2 next to an overview of activities at OEHHA. This will be  
3 presented by Rebecca Belloso. Rebecca is a Health Program  
4 Specialist in the Safer Alternatives Assessment and  
5 Biomonitoring Section at OEHHA. She will give a  
6 presentation on the evaluation of results return materials  
7 from the biomonitoring component of the San Joaquin Valley  
8 Pollution and Health Environmental Research Study also  
9 known as BiomSPHERE.

10 (Slide presentation).

11 REBECCA BELLOSO: Great. Thank you so much. And  
12 as Acting Chair Tom McKone mentioned, my presentation  
13 today will cover the BiomSPHERE study, in which we are  
14 doing an evaluation of the results return materials.

15 [SLIDE CHANGE]

16 REBECCA BELLOSO: So as a reminder, Biomonitoring  
17 California has a mandate as a State program to return  
18 results to study participants. This is a statutory  
19 mandate for returning results to participants who request  
20 them. The participants are provided materials to help  
21 them understand the results. And we tailor those  
22 materials, depending on what the participant audience is.  
23 For example, we do our best to make them culturally and  
24 linguistically appropriate and understandable.

25 [SLIDE CHANGE]

1 REBECCA BELLOSO: These are our steps for general  
2 practice in creating the results return packets. As you  
3 can see, there are a number of steps. So I'll go through  
4 the steps.

5 First, we conduct a QA and QC on the data and  
6 that data is received from our laboratory. After that  
7 data is received, we do an analysis on the final data set  
8 for summary statistics. We create draft text and results  
9 tables that include comparison data, and if possible, we  
10 compare participants with other participants within the  
11 study, as well as national levels, such as NHANES. We  
12 then submit that for internal review as well as review  
13 with the principal investigator of the study and submit  
14 that draft to the IRB for approval. And in that case,  
15 sometimes we pre-translate before submitting to IRB and  
16 sometimes we translate afterwards. It really depends on  
17 the IRB. We'd update the tables after approval with  
18 personalized results for each participant and package all  
19 the materials into one document. And the PI would  
20 distribute the final packets to participants.

21 [SLIDE CHANGE]

22 REBECCA BELLOSO: So I'd like to go through each  
23 page of the results return packet. This is the packet  
24 that was returned for the BiomSPHERE study. So first, we  
25 include a cover letter with a summary of the project

1 since -- sometimes participants don't remember that they  
2 were participants. So we do like to provide an overview  
3 of what we collected, what compound we analyzed, and thank  
4 them for their time. We provide a table of contents to  
5 help them walk through the packet. We include a project  
6 description, which includes frequently asked questions and  
7 further information on the study. In the results table,  
8 we include information on how they can compare their  
9 results to either other people within the study or any  
10 other summary statistics that were included.

11 And here's an example of the results table with  
12 fictitious values, just so you have an idea of what that  
13 looks like. And we include a -- an informational fact  
14 sheet based on the chemicals that we analyzed. So, for  
15 example, this one is for biomarkers of response. We  
16 include recommendations within that fact sheet for how  
17 participants can reduce their exposures. And we tailor a  
18 community resource page with resources in the area in  
19 which they live or work, depending on -- depending on the  
20 study.

21 [SLIDE CHANGE]

22 REBECCA BELLOSO: So for distribution, we -- we,  
23 as a program, try to return the results within one year of  
24 sample collection. We send all the results to  
25 participants at the same time. Sometimes we receive

1 results in batches, but we -- since we do the summary  
2 statistics comparison, we do that and incorporate that  
3 into the results table. So we do send the results to  
4 participants all at the same time.

5 Participants have the option of how they choose  
6 to receive the results. So they can choose whether they  
7 receive it through mail, through a password-protected  
8 email document, or in-person delivery, if neither of those  
9 are feasible.

10 I do want to point out that the process is  
11 different, the protocol is different when elevated results  
12 are reported from our laboratory. So in that case, we  
13 would contact the participant as soon as possible for  
14 cases of -- that are above the level of concern.

15 [SLIDE CHANGE]

16 REBECCA BELLOSO: So as a reminder, we have  
17 brought up to the SGP a couple of studies that did try to  
18 evaluate results return and the challenges in reporting  
19 results back to participants. Two of those studies were  
20 the Chemicals in Our Bodies Study, also known as the MIEEP  
21 study, as well as the Biomonitoring Exposures Study, or  
22 known as BEST.

23 So sorry.

24 The Panel -- based on the discussion, the Program  
25 has agreed to move forward with returning results, even if

1 the health implications of the results are scientifically  
2 uncertain, with inclusion of recommendations for lowering  
3 potential exposures to compounds analyzed, as you see we  
4 did include that in this packet.

5           There have been other efforts by the Program as  
6 well to evaluate results return materials, such as in the  
7 FOX, ACE and CARE studies. And since it has been almost  
8 10 years since we've visited this topic with the Panel -  
9 this was last presented in November 2015 - we thought that  
10 now would be a good time to see if there's any changes or  
11 improvements that we can make in our results return  
12 materials.

13           Communication since 2015 has changed. Especially  
14 after the pandemic, the world has kind of shifted to a  
15 more digital space. So we also wanted to evaluate whether  
16 we should incorporate a more digital platform when we do  
17 return results.

18                           [SLIDE CHANGE]

19           REBECCA BELLOSO: So leading this project is PI  
20 Nancy Burke from UC Merced, co-PI Asa Bradman as well from  
21 UC Merced. And they are both professors in the Department  
22 of Public Health. And we (inaudible) CCAC, the Central  
23 California Asthma Collaborative with Tim Tyner, the  
24 founder and Executive Director, to conduct this  
25 evaluation.

1           And the study, we'll do surveys with participants  
2 and then they will go into more detailed focus groups and  
3 interviews on the subset of all the participants. So this  
4 study aims to understand how much the participants took  
5 away from the results, whether they made any behavioral  
6 changes or changes in their knowledge and understanding of  
7 these various compounds that we analyzed. And we'd also  
8 hope to recommend or get a recommendation on what the  
9 optimal approaches are in creating our results return  
10 materials.

11                           [SLIDE CHANGE]

12           REBECCA BELLOSO: So for this particular study,  
13 we are returning urinary biomarkers specifically for the  
14 oxidative stress, inflammation and lung injury biomarkers  
15 and poly -- PAHs, polycyclic aromatic hydrocarbon  
16 metabolites, and volatile organic compound metabolites.

17                           [SLIDE CHANGE]

18           REBECCA BELLOSO: Our timeline for this  
19 evaluation study. So in the summer of 2024, the PIs  
20 worked together to build a study team and identify key  
21 considerations for the project. By winter 2025, they will  
22 develop survey and interview questions and submit that to  
23 the IRB. And they plan to re-enroll BiomSPHERE  
24 participants, so that they can conduct the survey and the  
25 interviews. By spring 2025, they will conduct surveys,



1 interviews and focus groups. And by 2020 -- summer 2025  
2 they plan to analyze the results and produce the summary  
3 findings with a final review on approaches for how we plan  
4 to optimize returning the study results.

5 [SLIDE CHANGE]

6 REBECCA BELLOSO: So I open it up now to the  
7 questions.

8 ACTING CHAIR MCKONE: Okay. Thank you very much.  
9 We have quite a bit of time remaining, but what we want to  
10 do first is take roughly five minutes to focus just on  
11 this presentation with short questions of clarification.  
12 And then when we finish that, we'll move on to a broader  
13 discussion of both of the talks and open it up for a  
14 little more depth and substance.

15 So are there questions more of a brief nature on  
16 clarification for Rebecca's presentation from the Panel.  
17 I can't see the Panel members --

18 PANEL MEMBER QUINTANA: I'm on Zoom. I'm raising  
19 my hand. Is that okay?

20 ACTING CHAIR MCKONE: We have one question from  
21 Dr. Cushing and then we can move to...

22 PANEL MEMBER CUSHING: Thank you. This is a  
23 question for Rebecca. I may have missed it in your  
24 presentation, but for the upcoming evaluation of results  
25 return in trying out different formats. It looked like

1 you were going to be evaluating whether different formats  
2 might be better received or better understood. So have  
3 those alternatives already been designed or is that  
4 something that will be designed like in response to the  
5 survey or the interviews?

6 REBECCA BELLOSO: That is a great question and  
7 something that we've discussed. So, the PI would like to  
8 move forward for the survey in asking their overall  
9 understanding and potentially changing the formatting of  
10 how the results look. Right now, it's in table form, so  
11 we've thought about maybe putting it in a graph form or an  
12 online platform and see how the participants react to that  
13 in a focus group.

14 PANEL MEMBER CUSHING: Okay.

15 ACTING CHAIR McKONE: And then Dr. Quintana, did  
16 you have a question?

17 PANEL MEMBER QUINTANA: Hi. Yes, I did. And I  
18 wanted to first say that I thank you for doing this  
19 important work, because it's an interest to anyone who  
20 works with communities want to give them the information  
21 in a very helpful way. So I guess my question is are you  
22 going to try and randomly sample the people who had the  
23 results return, because there might be a slight bias in  
24 who kind of volunteers to participate in the focus groups.  
25 And I'm just wondering how the selection of participants

1 will be done.

2 REBECCA BELLOSO: Right. That is a great  
3 question as well. So for the survey -- initial survey,  
4 they will contact all participants that requested their  
5 results materials. And then after that, I believe it will  
6 be a randomized sample based on who responds to the  
7 survey. We can't control who actually picks up the phone  
8 and takes that time to fill out the survey, but we'll make  
9 the best effort to try to get everybody involved.

10 ACTING CHAIR McKONE: I think José was next.

11 PANEL MEMBER SUÁREZ: Just a very quick question.  
12 So for the presentation, your question to the SGP Panel  
13 was to get some feedback about the actual structure of  
14 the -- of the information being returned. And the second  
15 part was what are some considerations for different ways  
16 in doing that, right?

17 REBECCA BELLOSO: Correct.

18 PANEL MEMBER SUÁREZ: Would it be possible for us  
19 to get a sample of one of the -- I saw the presentation.  
20 It's kind of hard to see. It was a little small, but  
21 would we be able to get access then to a sample so we can  
22 take a look and give you some comments?

23 REBECCA BELLOSO: Sure. I think we can do that.  
24 We definitely have a -- that's what we submit to the IRB  
25 is like a fictitious values, so that shouldn't be a

1 problem. And then we'd have to, I think, make an agenda  
2 item at a future meeting. I don't know if we can provide  
3 that right now.

4 PANEL MEMBER SUÁREZ: It doesn't have to be right  
5 now, but I mean, if you want feedback from us, it would  
6 probably be better for us to actually see it.

7 REBECCA BELLOSO: That's a good idea.

8 PANEL MEMBER PADULA: I also just -- I was  
9 particularly curious about the oxidative stress -- whoops,  
10 I just turned it off.

11 Okay. I think I got it on.

12 The oxidative stress and inflammation biomarkers,  
13 since they are a little bit different than maybe the  
14 chemicals that we're used to returning. And so I'm also  
15 curious about how those results will be communicated given  
16 our lack of, maybe, understanding about what they all  
17 mean.

18 REBECCA BELLOSO: Right. So we've -- we've gone  
19 through a lot of internal discussions on how to best  
20 communicate that to the public, especially since they're  
21 not scientists, and they -- we can't assume that they're  
22 aware of the mechanisms within the body. So we do try to  
23 put it in as simple terms as possible. So we do return it  
24 as a separate packet for the biomarkers of response and  
25 then we'll do biomarkers of exposures in another packet.

1 And that will be delivered early next year.

2 ACTING CHAIR McKONE: We're moving into a little  
3 more substantive questions, but I thought maybe we should  
4 just take a minute to offer audience, both online and in  
5 the room, to ask short clarifying questions and then  
6 there's going to be roughly 15 to 20 minutes coming back  
7 to both presentations and getting into more detailed  
8 questions.

9 Are there clarification questions, McKenna,  
10 online or anyone in the audience at this point?

11 Comment. Get a microphone and identify yourself  
12 for the transcriber.

13 DR. ASA BRADMAN: Thank you. I'm Asa Bradman,  
14 and the co-PI on the project on return results -- in  
15 evaluating return results. And we'll have a survey. And  
16 then as part of the survey, we'll ask about possible  
17 interest in participating in a focus group and any  
18 follow-up to the -- to the written survey. And then we'll  
19 use that as a pool to select participants. So it will be  
20 kind of a staged process. And, you know, of course,  
21 (inaudible) small study, and in terms of, you know, focus  
22 groups can be very intensive and data analysis of text  
23 can -- has its own challenges, so -- but we are hoping to  
24 get -- you know, we'll get some interesting input, and  
25 thoughts, and comments from the participants.

1           ACTING CHAIR MCKONE: If there are no more  
2 questions focused on this talk, I think we'd like to open  
3 it up to a more substantive discussion of both talks. So  
4 I invite Dr. Attfield. And again, it's open to the Panel  
5 and then we'll open it up to the audience also.

6           Comments?

7           Yes, Dr. Luderer.

8           PANEL MEMBER LUDERER: I'm kind of curious about  
9 the results that you've already returned to people and  
10 whether you've kept track of how often people maybe  
11 contact the Program with questions about their results. I  
12 mean, how frequent is that? Does it depend on the study?  
13 I mean, have you looked into sort of, you know,  
14 qualitative data about that, but I'm just wondering if you  
15 have done that.

16           REBECCA BELLOSO: Right. We definitely include  
17 our contact information on the cover letter, if anybody  
18 has any questions or concerns about their packets, or  
19 their results. And so far, we haven't received any  
20 questions on this study. And we've also returned for a  
21 couple of other studies, at least at OEHHA, and we haven't  
22 received any questions from the public, which is also one  
23 reason why we wanted to do this, because if they're not  
24 reading their packets then we're not doing our job, so we  
25 want to make sure that they read that.

1 DR. KATHLEEN ATTFIELD: And I'd add for the CARE  
2 study is we do get like a handful of people contacting us.  
3 And, of course, there are the people who, you know, are  
4 contacted by us. And those, of course, are much more  
5 interested in talking about their results. So we keep  
6 track of it. We haven't gone back to try to separate and  
7 tabulate it, but we could try to pull that into this  
8 effort to formalize that review.

9 ACTING CHAIR MCKONE: Sandy has a comment or a  
10 clarification.

11 DR. MARTHA SANDY: Martha Sandy. I just wanted  
12 to say we also have community meetings and webinars for  
13 the CARE study for participants in others in the community  
14 to listen, and if there's a chance to discuss as well. So  
15 our most recent meetings where we've returned  
16 biomonitoring results for community studies was for the  
17 SAPEP study. We had a community meeting. We reported  
18 back to the Panel on that. And we had interest in, you  
19 know -- but no specific questions about how to interpret  
20 their results.

21 PANEL MEMBER SUÁREZ: Thank you. Touching on the  
22 second part of that question of the distribution method.  
23 So which ones have you -- I don't know, you've been doing  
24 mailing and password protected emails. What other  
25 thoughts have you been having in that sense? Like what

1 other methods would you be interested in exploring?

2 REBECCA BELLOSO: Specifically, we were thinking  
3 about the DERBI platform, which is -- which is a website  
4 style platform which requires a log-in from the  
5 participant and they can privately see their results that  
6 way, but it includes, you know, links. And they can open  
7 up some multiple pages to like do a further deep dive.  
8 Yeah, and I believe that is from the Silent Spring  
9 Institute.

10 PANEL MEMBER SUÁREZ: Um-hmm. What ages are the  
11 participants?

12 REBECCA BELLOSO: These participants -- would  
13 Kimberly --

14 KIMBERLY VALLE: Yeah. So the mean age is 42  
15 years old.

16 PANEL MEMBER SUÁREZ: Okay.

17 KIMBERLY VALLE: But we did have three  
18 grandparents and a couple of parents. Most of them were  
19 mothers, but, yeah, the mean age is 42.

20 PANEL MEMBER SUÁREZ: Forty-two. And what's the  
21 range?

22 KIMBERLY VALLE: I can follow up.

23 PANEL MEMBER SUÁREZ: Okay. And the reason why  
24 I'm asking is depending on how -- which groups you may  
25 want to start focusing on for which types of distribution,



1 right. So a lot of people -- and the younger you are most  
2 likely you already have a smartphone and be glued to it.  
3 This is probably one of the better ways to get -- you  
4 know, people get ahold of people in different ways, right?  
5 So the other way, it's something that we've been doing in  
6 different studies in different parts of the world, where,  
7 for example, WhatsApp is the main way in which people  
8 communicate. And we've been distributing -- you know,  
9 getting in touch with participants with that, because it  
10 is end-to-end encrypted. And a lot of times, you can send  
11 them a link to that saying all right you can access your  
12 results if you click on this link, and then it takes them  
13 to the website. Then they can log in and do all that  
14 stuff. Or consider even using different platforms that  
15 you could deliver it straight through that WhatsApp. But,  
16 you know, there's different considerations into that.

17 Of course REDCap has an option for that as well,  
18 where you can have them do it. There's a few different  
19 platforms and you've been exploring one of them. So I  
20 think it would be a very valuable one to have a mixture of  
21 these things. And some of the groups may be more  
22 receptive than others to have that. And a lot of times,  
23 then you have to consider should it be a web app versus an  
24 app that they download. And the downloaded version of  
25 that would be if you're planning on following up with

1    them, that would be very powerful, because they don't have  
2    to keep updating that app.

3                So there's a lot of different things worth  
4    considering. We've been running this study just  
5    collecting a lot of information using cell phones from  
6    participants. This is in Ecuador and we've been doing  
7    cognitive law assessments over two and a half years, so  
8    it's like this constant interaction through the app. But  
9    at the same time, the apps don't allow you to communicate  
10   very well with participants. So then we've been using  
11   WhatsApp for -- to kind of guide them a little bit through  
12   that process. It's like a multi-step approach that you  
13   may want to consider.

14               REBECCA BELLOSO: Thank you. Thank you. I don't  
15   think we've thought about WhatsApp, so that's a great  
16   idea.

17               KIMBERLY VALLE: Hi. This is Kimberly with UC  
18   Merced. And the range for the adults age was from 28 to  
19   66 with a mean age of 42.

20               ACTING CHAIR McKONE: So Dr. Quintana has had her  
21   hand up. And I apologize, because the screen I'm looking  
22   at blocks your hand. I have to look up to see that your  
23   hand was up.

24               (Laughter).

25               ACTING CHAIR McKONE: There something in the way

1 there. So please, I know you've had your hand up for a  
2 while.

3 PANEL MEMBER QUINTANA: I was just going to ask  
4 more about the results return of the biomarkers of  
5 response. Because as a previous person said, I think it  
6 was Ulrike, that they're a different type of marker  
7 besides the chemical markers. And I guess one of the  
8 things that we've been struggling with, because we also  
9 have been adopting your pioneering work and results return  
10 to our participants, is how do you communicate  
11 uncertainty, because some of these -- some biomarkers, of  
12 response are quite variable and even over time within the  
13 same person, but -- so I'm just wondering how you -- have  
14 you thought about trying to communicate the uncertainty in  
15 your measurement and how that might overlap.

16 So, for example, if somebody's, you know, 1.11  
17 and their friend is 1.12 maybe that's not really that  
18 their friend is higher, you know, that kind of feeling. I  
19 was just curious if you had any discussions about that.

20 Thank you.

21 REBECCA BELLOSO: From what I can recall, we  
22 haven't really discussed that level of detail in the  
23 different results, but we can definitely consider that and  
24 maybe put something like a level of concern -- well, not  
25 level of concern, but, yeah, like a legend or something

1     like that, um-hmm.

2             ACTING CHAIR MCKONE:   Dr. Sandy has a quest --  
3     has a response.

4             DR. MARTHA SANDY:   So we've returned these  
5     results for two studies so far for biomarkers of response,  
6     SAPEP and BiomSPHERE.  And we give them this fact sheet,  
7     FAQ, on what those biomarkers are, and what they mean, and  
8     the many different things that can cause variability,  
9     including time of day, et cetera, et cetera.  So we're  
10    not -- we're just -- we're letting them know that there's  
11    many factors that can affect these levels, not just air  
12    pollution.  We haven't gone any father than that,  
13    because...

14            PANEL MEMBER QUINTANA:  Thank you.

15            Dr. Padula.

16            PANEL MEMBER PADULA:  I was just going to add to  
17    follow up from José's comment that DERBI also does include  
18    a smartphone interface version.  So, you could have the  
19    option of looking at it on a computer or on the  
20    smartphone.  And it also has the capability of knowing  
21    whether they opened it or not.  And so that's the tricky  
22    part with the mail I suppose, and even how long -- how  
23    much time they look -- spent looking at it, so if you're  
24    interested in that information that has that capability.

25            REBECCA BELLOSO:  Thank you.

1           ACTING CHAIR McKONE: I have a brief question of  
2 Dr. Attfield's presentation, which relates to the comment  
3 we got about metals and diesel. So, you were talking more  
4 specifically about a metals study, but we also have air  
5 pollution and diesel biomonitoring programs. Is there a  
6 cross-over in the metals effort to work on the same --

7           DR. KATHLEEN ATTFIELD: I might have to defer to  
8 my colleagues that work more closely on the AB 617  
9 studies, but there's the VOC panels and the PAH  
10 metabolites that are also being assessed in the studies  
11 that will complement the results from the metals.

12          ACTING CHAIR McKONE: Okay. Because I thought it  
13 was an interesting point that metals should be -- might be  
14 an important additional marker for efforts we already have  
15 underway looking at diesel exposures.

16          DR. KATHLEEN ATTFIELD: Definitely.

17          PANEL MEMBER SUÁREZ: I have just a comment here,  
18 so I'm looking at one of the documents here. This one for  
19 the returns of the results, in which you -- you're  
20 providing here. I suppose this would be the actual value  
21 the participant has, then the middle concentration in the  
22 study in the United States. This is useful, but I think  
23 it's a little hard for some people -- a lot of people to  
24 understand what the 90th percentile means for instance.  
25 I've seen some very good ways to do this with a more

1 graphical way, in which you have like a continuum of lines  
2 being lowest concentration here, just a line like that.  
3 And then within that, you'd say, well, your concentration  
4 was this and it's right here, so they can actually  
5 visually see where in the distribution they are.

6 Just making things a little more visual, I think  
7 you can convey this information, perhaps even more, in a  
8 more simple way to do that. So it's great that you're  
9 doing the results -- the returning the results. And I  
10 think there could be little tweaks there that would make  
11 it a little bit more understandable, I think, for all  
12 audiences

13 ACTING CHAIR McKONE: I mean, we're running a  
14 little short on time, so I want to make sure we take any  
15 comments or questions that have come in online or if there  
16 are comments from the audience or questions?

17 If not, the Panel can resume.

18 DR. KATHLEEN ATTFIELD: So I had a comment.

19 ACTING CHAIR McKONE: Yeah, please.

20 DR. KATHLEEN ATTFIELD: Just back to the comments  
21 about the DERBI platform. We are trying to plan for a --  
22 one of these intra-program pilot projects of doing a test  
23 run of using that platform and to see and look at  
24 responses like -- you know, internally before we start  
25 moving externally. So that should complement the

1 evaluation efforts that they're embarking upon.

2 ACTING CHAIR McKONE: McKenna, we do have an  
3 online comment?

4 McKENNA THOMPSON: We do. Okay. We had an  
5 online comment that reads, what, if any, information for  
6 clinicians will be provided with participant's results?  
7 Will there be a component of the study that assesses how  
8 people can talk to their doctors about their results,  
9 particularly if they're above the level of concern.

10 REBECCA BELLOSO: Yes. So if participants have  
11 results above the level of concern, we do include a phrase  
12 within the notification letter that's encouraging them to  
13 approach their primary care doctor or a physician. But we  
14 also do offer with our studies, the opportunity for them  
15 to speak with physicians that are part of the study team.  
16 So, not only part of the study team, but there's also  
17 physicians that are working with our -- with our agencies,  
18 so we do offer that.

19 McKENNA THOMPSON: And we also have a hand -- we  
20 have a hand raised online. Jianwen has a comment.

21 I'll go ahead.

22 DR. JIANWEN SHE: Sorry. That's accidentally.  
23 You can lower -- I can lower it. Yeah, sorry about that.

24 McKENNA THOMPSON: Never mind.

25 ACTING CHAIR McKONE: Okay. Open for anymore

1 questions, comments.

2 We're close to 2:05, so I think we will -- Dr.  
3 Luderer, go ahead.

4 PANEL MEMBER LUDERER: I mean, I just had a quick  
5 comment regarding, you know, because getting medical, you  
6 know, input into if people have questions about that. And  
7 I would -- another suggestion I would have is that, you  
8 know, there are several academic, within the UC system,  
9 occupational and environmental medicine clinics, that, you  
10 know, at our clinic at UC Irvine and I know at UCSF also,  
11 they see patients with all kinds of, you know,  
12 environmental and occupational exposures, and that would  
13 be a resource you could also refer people to.

14 REBECCA BELLOSO: Thank you.

15 ACTING CHAIR MCKONE: So now we've reached a  
16 point where we've finished our first two presentations and  
17 we're at a break. We're going to take -- I think, we're  
18 at -- yes, we are going to take a 10-minute break and then  
19 be back at 2:15 promptly, so that we can begin again.

20 (Off record: 2:05 p.m.)

21 (Thereupon a recess was taken.)

22 (On record: 2:15 p.m.)

23 ACTING CHAIR MCKONE: We had with one slide and  
24 then we'll move to the program for the afternoon.

25 DR. AALEKHYA REDDAM: We just wanted to point out



1 for people who are interested in our publications -- and  
2 I'm just going to share my screen about where you can find  
3 them on our website. But I think if you navigate to our  
4 Biomonitoring California website, you go to our  
5 "Resources", and then under "Publications", we have a list  
6 of all our recent publications. And the first one was I  
7 think we spoke very briefly is the -- our latest protocol  
8 on arsenic speciation. So I just wanted to highlight it  
9 for people who are interested in it.

10 Thank you.

11 ACTING CHAIR MCKONE: Okay. With that, now we're  
12 going to move into the next set of presentations. And in  
13 our next agenda item, we're going to be hearing from two  
14 speakers. Both of them are going to be talking about  
15 different aspects of biomonitoring for air pollution.

16 Our first presenter is Jeff Wagner. Jeff is the  
17 Chief of the Environmental Health Laboratory Branch at the  
18 California Department of Public Health. Today, he will be  
19 presenting on the analysis of VOCs, PAHs, heavy metals,  
20 and particle data collected in the FRESSCA-Mujeres  
21 project.

22 (Slide presentation).

23 DR. JEFF WAGNER: All right. Well, thank you  
24 very much. I -- as mentioned, I'm going to be talking  
25 about some of the air components of the FRESSCA-Mujeres

1 project. In the, unfortunately, small type, you can see  
2 that this is a great team effort between many different  
3 agencies, including CDPH, but also Tracking California  
4 from PHI, Central California EJ Network, OEHHA, IIT out in  
5 Chicago, an advisor from LBNL, and also great  
6 collaborators from UCSF.

7 [SLIDE CHANGE]

8 [SLIDE CHANGE]

9 DR. JEFF WAGNER: Okay. So as an overview of the  
10 study, I just wanted to define again for people that  
11 FRESSCA stands for Filtration for Respiratory Exposure to  
12 Wildfire Smoke from Swamp Cooler Air. And swamp cooler is  
13 otherwise known as evaporative coolers. And this project  
14 was initiated by the community, who had identified the  
15 risks from summer wildfire events with their residents who  
16 use evaporative coolers, which is a very affordable way to  
17 cool down homes in hot environments -- hot dry  
18 environments in the summer. Unfortunately, they bring in  
19 a ton of outside air, which you don't really want to do,  
20 when there's a wildfire smoke event.

21 So from that, we put together a team that was  
22 designed to both provide a solution, as well as evaluate  
23 those solutions, how effective they were, and the  
24 community participants' exposures. And all these  
25 participants by design had evaporative coolers in their

1 homes. So we provided -- first of all, designed and then  
2 provided DIY filters for those evaporative coolers, as  
3 well as indoor air cleaners. And that was kind of the  
4 approach we took to provide cleaner indoor air -- cleaner  
5 cooler indoor air.

6 So those filters from the evaporative coolers  
7 were analyzed both for their particulate loading as well  
8 as metals, and now with our collaborators at Berkeley,  
9 looking potentially at cocci. We also incorporated low  
10 cost PM sensors and a variety of air measurements both  
11 indoor and outdoors at these residences. And then  
12 ultimately, we've begun some of the results return, which  
13 I'll mention later in the presentation at community  
14 meetings.

15 A huge part of the study, which I know all of you  
16 will be most interested in is in the biomonitoring, so  
17 urine samples that were taken, analyzed for chemical  
18 biomarkers. There's also saliva samples and some of our  
19 partners are working on biomarkers of stress.

20 And I just wanted to mention on the left, you see  
21 some of our great team out there putting some of these DIY  
22 filters on the evaporative coolers. And then below that,  
23 a typical indoor air sampling setup, you see also on the  
24 left -- lower left, the indoor air cleaner like a typical  
25 indoor air cleaner that was provided, along with the

1 sampling pumps. And then in the lower right, or the most  
2 lower -- my most lower right picture is a PurpleAir sensor  
3 with the tiny little passive particle sampler above it.

4 [SLIDE CHANGE]

5 DR. JEFF WAGNER: So in order to do this somewhat  
6 ambitious project, we assembled three different funding  
7 sources, which you can see in this diagram, the sort of  
8 overlapping collaborators that came from that. And then  
9 that in turn was able to fund and enable this huge variety  
10 of measurements that I just mentioned. And I just kind of  
11 wanted to visually show what part -- what proposals all  
12 those measurements corresponded to.

13 [SLIDE CHANGE]

14 DR. JEFF WAGNER: So the study design involved  
15 two and a half months primarily of indoor/outdoor PM data  
16 for 50 homes that all had swamp coolers, in Kern, Fresno,  
17 and Kings counties, primarily two study areas, one in Kern  
18 and then one around the Coalinga area and Fresno/Kings.  
19 And 50 percent of those homes were provided EC filters, 50  
20 percent had the ECs, but no filters, and then all homes  
21 were provided air cleaners. And the diagram in the bottom  
22 just kind of highlights the facts that the EC filters are  
23 just by design going to work only on outdoor exposures,  
24 like wildfire events or other high outdoor PM events.  
25 Whereas, the indoor air cleaners can work on pollutants

1 that are generated both indoors and outdoors.

2 So in addition to this kind of two and a half  
3 month assessment, we did short-term airborne chemical  
4 samples timed with urine samples. And the ideal would be  
5 to target those during a major wildfire event in the study  
6 area. However, during this study, there were no major  
7 wildfire events. So, our default was to do it during the  
8 last week of the study and that's what ended up happening.

9 [SLIDE CHANGE]

10 DR. JEFF WAGNER: A little bit closer look at the  
11 air methods. As I may have mentioned for the continuous  
12 low cost PM2.5 sensors, these are PurpleAirs that we ended  
13 up using, and we did a co-location study ahead of time.  
14 And those worked pretty well for the study.

15 At the same time, we used passive PM samplers,  
16 which is a very different but complementary technique,  
17 which just takes one integrated sample over the entire  
18 period. They're analyzed with scanning electron  
19 microscopy. You get a thousand individual data sets per  
20 sample, corresponding to individual particles. And that  
21 can be used to give you PM size distributions, PM2.5,  
22 PM10, as well as major particle types kind of attributed  
23 to their likely sources.

24 For the short-term samples that were done in the  
25 final week timed with the urine, we took air samples with

1 pumps of metals, VOCs and PAHs. And those are three  
2 separate sampling setups that could be done and sent to  
3 the individual analyses, which in this case were ICP --  
4 ICP-MS for the metals and then two different setups for  
5 GC-MS for the VOCs and PAHs, the gas phase compounds.

6 [SLIDE CHANGE]

7 [SLIDE CHANGE]

8 DR. JEFF WAGNER: So a quick look at some of the  
9 results. For the passive PM, this is a look at  
10 indoor/outdoor ratio, which is obtained from the  
11 co-located indoor/outdoor samples for individual homes.

12 And the main point I wanted to convey with this  
13 slide was just that for PM2.5, in all these homes, the  
14 indoor/outdoor ratio was less than one slightly, to a lot  
15 of -- to which we attribute the indoor air cleaners. We  
16 didn't see a huge difference between the homes that had  
17 the EC filters, just because we think that there  
18 weren't -- there were no wildfire events of any  
19 significance during this time.

20 [SLIDE CHANGE]

21 DR. JEFF WAGNER: This slide adds the PM10. And  
22 you see that, in general, the indoor/outdoor issues were  
23 even lower, averaging about 0.4 across all homes. And  
24 that makes a lot of sense to us, based on the typical  
25 collection efficiency of the filters both on the ECs and

1 on the indoor air cleaners. They tend to work better for  
2 bigger particles in the range of two and a half to 10  
3 microns. There's also somewhat of an effect of the  
4 building envelopes themselves tend to filter out the  
5 biggest particles. Although, these were not -- these were  
6 often trailer homes. So we're not sure about that  
7 building envelope filtration.

8 [SLIDE CHANGE]

9 DR. JEFF WAGNER: But this, in turn, was  
10 interesting to us, because it, as I'll show in the next  
11 slide here, the crustal component of this PM was just by  
12 far the biggest component that we measured with the  
13 passive samplers. And those tend to be coarse particles.  
14 And we had participants report back that they felt like  
15 the interiors of their homes even were qualitatively  
16 cleaner using these interventions, just because there's so  
17 much dust in this area. And as many of you know, the  
18 coarse component of PM10, though not as strong an  
19 association with health effects, does have an association  
20 with various respiratory health effects, including asthma.

21 You can also see in this picture the examples  
22 from the electron microscopy of some of the other types we  
23 found. So there's carbon rich particles which are  
24 comprised both of biogenic spores as well as vehicle  
25 emissions and smoke.

1           There's a sector we've associated with  
2 agricultural products that are rich in phosphorus,  
3 chlorine and potassium, such as fertilizers, salts, which  
4 were a very minor component, and another minor component  
5 that is nevertheless of interest is metals. This is a  
6 picture of a copper-rich particle.

7                                 [SLIDE CHANGE]

8           DR. JEFF WAGNER: And when you looked -- when I  
9 looked at the copper results across all samples, it was  
10 interesting. We found them in all indoor samples, but  
11 primarily in Kern County with higher levels. And that was  
12 the county where we found them outside as well. So  
13 because we were looking at individual particles, we could  
14 see that the copper was associated with chlorine and  
15 sulfur, which suggest a fungal or pathogen treatment for  
16 crops. And although, it is possible that it's also a  
17 consumer product that is used for indoor plants. The fact  
18 that we saw them outdoors to such an extent as you can see  
19 here suggests that they were an outdoor application and  
20 perhaps in Fresno and Kings counties where we didn't see  
21 them outdoors, that -- that suggests that they were not  
22 applied outdoors during the study period, but had been  
23 perhaps applied at a previous date and had accumulated  
24 indoors over time.

25                                 [SLIDE CHANGE]



1 DR. JEFF WAGNER: This is a look using electron  
2 microscopy, again at the swamp cooler filters themselves.  
3 And you can see just more qualitative evidence of their  
4 effectiveness of collecting PM. In this case, at this  
5 magnifications you're seeing mostly coarse PM. Those kind  
6 of crustal dust particles.

7 [SLIDE CHANGE]

8 DR. JEFF WAGNER: Now, look some of the data from  
9 the low-cost PM2.5 sensors. Those had the advantage of  
10 being able to take thousands of data points over time.  
11 And a really good example of what can be done with that is  
12 looking at -- in conjunction with the plug load loggers,  
13 which show whether the indoor air cleaners or the swamp  
14 coolers returned on at any given moment or turned off by  
15 monitoring the power draw. We could do a comparison of  
16 indoor PM2.5 when both the air cleaners and swamp coolers  
17 were both on compared to when they were both off. And  
18 this is a nice illustration of the effect of our indoor  
19 air interventions in a typical home.

20 [SLIDE CHANGE]

21 DR. JEFF WAGNER: You can also with the low-cost  
22 sensors see temporary transient spikes in PM, many of  
23 which we believe to be due to indoor events rather than  
24 outdoor events. But an exception would be in the section  
25 that's blown up from September of last year, you can see

1 this kind of bump in the outdoor concentration. And that  
2 did correspond to a minor wildfire smoke episode, I  
3 believe from the California-Oregon border.

4 [SLIDE CHANGE]

5 DR. JEFF WAGNER: Now, moving on to some of the  
6 short-term sampling. As far as the metals go, we measured  
7 across the typical range for an ICP-MS on the order of a  
8 dozen metals. But I'm showing in this slide the metals  
9 that were above detection limit in these homes. So iron  
10 was by far the most prevalent, which makes sense as a  
11 major component of soil and dust. It was much lower  
12 indoors, which is encouraging for all these homes with  
13 indoor interventions. We also detected manganese, copper,  
14 zinc and selenium.

15 And of all these, I only showed the OEHHA  
16 recommended exposure limit for manganese as being higher  
17 than what we found, but of the same order of magnitude.  
18 It was much higher for all the other metals -- or rather  
19 the REL was much higher and our -- the exposures were much  
20 lower than the REL.

21 [SLIDE CHANGE]

22 DR. JEFF WAGNER: So moving on to VOCs, the  
23 dominant compounds in these analyses ended up being the  
24 BTEX compounds, benzene, toluene, ethylbenzene, and  
25 xylene. The relationship between indoor and outdoor was

1 not consistent between compounds. Although, we're still  
2 finishing the data analysis for those. But that would  
3 make some sense since neither of our indoor interventions  
4 were targeted specifically at gas-phase compounds.

5           They did -- most of them did have a carbon layer  
6 on the filters designed for odor control. So we were  
7 hopeful, but we're still digging into that. There's some  
8 evidence that maybe those work over the short term but not  
9 so much over the long term. I should mention also that in  
10 homes where we detected rare -- relatively more rare VOCs,  
11 which were attributable to certain sources, we conveyed  
12 those in the results return, such as compounds which are  
13 found in nail polish, for example.

14                           [SLIDE CHANGE]

15           DR. JEFF WAGNER: The polycyclic aromatic  
16 hydrocarbons measured indoors were dominated by the  
17 naphthalene compounds, but you can see perhaps a list  
18 going up to pyrene that we measured.

19                           [SLIDE CHANGE]

20           DR. JEFF WAGNER: As far as indoor/outdoor  
21 ratios, again much the same for the VOCs. They tended to  
22 hover around 1, with some exceptions, but notably pyrene  
23 and we're looking into basically because the pyrene had  
24 such a low indoor/outdoor ratio that it looks like it has  
25 an outdoor source.

1 [SLIDE CHANGE]

2 DR. JEFF WAGNER: So I mentioned the community  
3 meetings and you heard about it earlier as well that we  
4 had in August that were targeted just on the aerosols, not  
5 the biomonitoring. And those were super valuable, not  
6 only to help clarify in-person what the packets  
7 represented as the packets are returned to participants,  
8 but also to communicate exposure, reduction strategies for  
9 any metals or chemicals that were detected in a given  
10 participant's home. And we also received a lot of  
11 valuable feedback about community concerns about things in  
12 their air, which will be very useful for informing our  
13 work in the future, I think, including things like local  
14 dust generation events due to agriculture and concerns  
15 about how to reduce VOC exposures from cleaning products  
16 in the home.

17 [SLIDE CHANGE]

18 [SLIDE CHANGE]

19 DR. JEFF WAGNER: So in conclusion, our FRESSCA  
20 and FRESSCA-Mujeres projects evaluated indoor air  
21 interventions to improve both air quality and thermal  
22 stress. And I feel that we were able to use an ideal  
23 combination of passive samplers, low-cost sensors and  
24 speciated chemistry samples to give a real balanced amount  
25 of information.

1           In general, we found that the PM was lower  
2 indoors with their combined interventions of air cleaners  
3 and EC filters, particularly perhaps due to dust  
4 reductions. The highest metal was iron, again lower  
5 indoors with other metals detected.

6           For the gas-phase compounds, BTEX and naphthalene  
7 were the most abundant species. And then just again,  
8 these community discussions were really valuable and will  
9 inform our future work.

10                           [SLIDE CHANGE]

11           DR. JEFF WAGNER: And thank you for your time.

12           ACTING CHAIR MCKONE: Thank you very much. We  
13 now have roughly five minutes for questions first from the  
14 Panel and then from the audience. So are there Panel  
15 members, I can't see online, or Panel members here on  
16 Zoom?

17           ACTING CHAIR MCKONE: Jenny, yes, go ahead.

18           PANEL MEMBER QUINTANA: Hi. Jenny Quintana. I  
19 just had a clarifying question about you had a slide about  
20 the reduction in indoor PM in a situation where it was --  
21 one, it was both for operational and then both were not  
22 operational. So, yes, air filters on and yes swamp cooler  
23 filter was in place. And then no swamp cooler filter and  
24 air condition -- and air purifier off. But did you have  
25 data on where the -- there was no filter on the swamp

1 cooler to make that comparison. So basically, you felt  
2 like the out -- the filtration was not useful from the  
3 external filtration?

4 DR. JEFF WAGNER: So, yeah --

5 PANEL MEMBER QUINTANA: You had one condition on  
6 that slide that I was confused at, but you didn't seem to  
7 have all the conditions for that PM -- indoor PM.

8 DR. JEFF WAGNER: Right, so -- yes, that is a  
9 good point and we -- we're actually still looking into  
10 that condition of when the swamp cooler was used a lot,  
11 but without a filter, and whether you would expect that to  
12 have like a negative impact on indoor concentrations. So,  
13 yes, I agree, and that's something we're looking into  
14 right now. I can't remember if there's another part of  
15 your question.

16 PANEL MEMBER QUINTANA: No, that was it.

17 DR. JEFF WAGNER: Yeah. Thank you for that.

18 PANEL MEMBER QUINTANA: Yeah, and thank you for  
19 this important work too, especially using DIY kind of  
20 interventions, which might be scalable. So did you  
21 collect any other -- did you collect indoor dust from the  
22 home as well or no? Besides the passive sampler, did you  
23 talk any bulk samples of --

24 DR. JEFF WAGNER: No. No, we did not. We did  
25 not. And I don't think I mentioned that there was also

1 some associated survey information collected though with  
2 this study, that I wasn't directly involved in, but I know  
3 part of that was targeted on willingness to pay, because  
4 you mentioned the DIY aspect of this. And I should have  
5 mentioned also that the goal of this solution was to be  
6 both effective, but also somewhat affordable, and being  
7 able to be implemented by the communities directly with  
8 tools they could easily attain.

9 So, I believe we arrived at something like one to  
10 two hundred dollars for an installation, which may be  
11 above. It's affordable for some, but not others, so  
12 that's not a caveat I should point out.

13 PANEL MEMBER QUINTANA: Thank you. I think Carl  
14 had a --

15 ACTING CHAIR MCKONE: Carl.

16 PANEL MEMBER CRANOR: Yes. Thank you.  
17 Interesting study. What I would be interested in is the  
18 concentrations, let's say, of PM2.5, both outside and  
19 inside? Where do those stand vis-à-vis say CalEPA health  
20 standards or U.S. EPA health standards? Can you address  
21 that? I mean, do you -- you've got -- you have  
22 interesting inside/outside comparisons, but what are the  
23 health consequences one way or the other.

24 DR. JEFF WAGNER: Yeah. I'm wondering if I can  
25 succeed in resharing this slide.

1           Yeah. Thank you for that question. The closest  
2 that I showed was this slide where there is a -- the  
3 24-hour current, 24-hour standard, and the current annual  
4 standard on this plot. And you can see that the 24  
5 hour -- the scale on this graph is between September 20th  
6 and September 27th. It's too small to read. And it  
7 appears this was the highest episode that we saw. And it  
8 was not exceeding any 24-hour standards during this time.  
9 And we only ran for two and a half months, but I just put  
10 the annual standard as a comparison.

11           That's the question also that we're going to have  
12 to dig into deeper as we're writing our manuscripts at  
13 this point, is if this holds true for all locations,  
14 because the two study areas did span quite a wide range  
15 with a lot of heterogeneous exposures in that part of the  
16 valley. So I appreciate your question and we'll be  
17 comparing to the -- both the State and federal standards.

18           PANEL MEMBER CRANOR: Thank you.

19           ACTING CHAIR McKONE: Any questions?

20           PANEL MEMBER PADULA: I have two questions. The  
21 first is for the PAHs in urine and air. I was wondering  
22 if you've done comparisons between them and if the  
23 temporality is close?

24           DR. JEFF WAGNER: Yeah. That's definitely a  
25 challenge here. I believe, and somebody in the room can



1 correct me if I'm wrong, but I believe we took definitely  
2 first void in the morning on urine, and then overnight air  
3 sampling, and then I believe there was one before going to  
4 bed that night. So, we -- we're hopeful. The PAH results  
5 should be ready pretty soon from the urine, so, yeah.

6 Thank you.

7 PANEL MEMBER PADULA: My second question was I  
8 was also curious -- I think this is a really interesting  
9 and great study. I was wondering if you had any  
10 instructions for when to turn the indoor air filters on  
11 and if -- it sounded like you had a way of knowing when  
12 they were on by the electricity pull and if there was  
13 any -- if you needed to supplement for electricity bills  
14 or if that's a barrier for future studies?

15 DR. JEFF WAGNER: Yeah. That's a really good  
16 question. Since we have power draw data and I presume  
17 maybe we have electrical rates that's -- yeah, that would  
18 be -- that would be a good thing to include for the  
19 economic feasibility for residents for sure. And I've  
20 seen the instructions that we're provided to residents for  
21 putting things on and buying the materials, but I don't  
22 recall if they were more detailed than like if there's  
23 a -- if there's a wildfire smoke event, then yeah.

24 It's been an interesting dialogue actually,  
25 because that was definitely the original intent is to use

1   them only when there's a wildfire smoke event. But I  
2   think it was pretty popular with participants like other  
3   times too, especially if it's a dusty place, yeah.

4           ACTING CHAIR MCKONE: And then I think Jenny has  
5   a question. Your hand is up.

6           PANEL MEMBER QUINTANA: Hi. I just wondered if  
7   the participants had similar home volumes and room volumes  
8   where the air filter was operated, because one thing we're  
9   struggling with with the filter intervention is do we give  
10  more air purifiers to people with larger homes or how do  
11  we kind of account for the volume that the air filtration  
12  unit will clean, and if you have any thoughts on that, I  
13  would love to hear them.

14          Thank you.

15          DR. JEFF WAGNER: Yeah. I definitely agree. We  
16  were doubling into the square footage data this week, to  
17  see if it would impact the indoor air cleaner  
18  effectiveness. Because as you say, that's a key  
19  component. I will say that the vast majority of these  
20  homes were manufactured homes, but I don't think a hundred  
21  percent of them were. So, yeah, we'll have a little bit  
22  of data to look at that spectrum.

23          PANEL MEMBER QUINTANA: I also wondered about  
24  window opening behavior. So if you had any measurements  
25  such as CO2 or anything that would help shed light on

1 that, or if you had any thoughts about recording that kind  
2 of behavior in terms of if the windows were open or not,  
3 or --

4 DR. JEFF WAGNER: Yeah. No, I think that's a  
5 very key component as well. And I think there was one  
6 survey question, but that can't really capture temporal  
7 variability. Some data, we were just looking at, there  
8 was a moment in this home we were looking at where the  
9 indoor air PM2.5 concentrations rose suddenly up to equal  
10 the outdoor air concentrations for like a half hour. And  
11 that spoke to me if some kind of window or door opening  
12 event. I wonder if that could be done with just the PM  
13 data with a -- with a co-located indoor/outdoor data.

14 PANEL MEMBER QUINTANA: Interesting.

15 ACTING CHAIR McKONE: I'd like to take a moment  
16 here to see if there are audience question or questions  
17 online. And then we'll come back. We have more time for  
18 in-depth discussion.

19 Nothing online. Okay.

20 Any audience questions at this point. And then  
21 we'll open it up to the audience again after we kind of go  
22 now into our more official deeper dive discussion and  
23 questions.

24 DR. JEFF WAGNER: Thank you.

25 ACTING CHAIR McKONE: No, you're still on.

1 (Laughter).

2 ACTING CHAIR MCKONE: You're the subject of --

3 DR. JEFF WAGNER: Almost got away.

4 ACTING CHAIR MCKONE: This is the time we talk  
5 with the detailed discussion after the talk, whereas  
6 before, we waited till both talks were done.

7 More questions?

8 Yes.

9 PANEL MEMBER LUDERER: I'm not sure this is  
10 somewhat of a deeper dive. It's related to the PAHs. So,  
11 you know, I was interested in the fact, that the  
12 naphthalene, you know, compounds were high in the  
13 indoor -- measured indoor air, but then when you look at  
14 the indoor versus outdoor, they were not the highest. And  
15 I'm wondering if you had some thoughts about, you know,  
16 what the sources of the compounds that were higher -- the  
17 PAH compounds that were higher in the indoor, you know,  
18 versus outdoor air? I think it was phenanthrene,  
19 acenaphthalene, I think. I can't really tell the colors  
20 exactly, but yeah, those two for sure -- oh, and  
21 fluoranthene -- no, not fluoranthene. Fluorene.

22 DR. JEFF WAGNER: Yeah. No, that's a very good  
23 point. And I only noticed it as jumping out for the  
24 pyrene as being a real outlier as far as indoor/outdoor,  
25 but I do expect especially from cooking to have some PAH

1 sources indoors for sure. Yeah. No, it's -- the short  
2 answer is we haven't gotten it yet, but I would like to do  
3 some PAH specific source identification. There's also  
4 quite a bit of petroleum industry down there as well. So  
5 I think that's relevant as well.

6 ACTING CHAIR MCKONE: I had a question about  
7 Purple -- oh, were you -- yeah, about the PurpleAir. And  
8 you had those indoors, right?

9 DR. JEFF WAGNER: Yes.

10 ACTING CHAIR MCKONE: Did you have any  
11 outdoors --

12 DR. JEFF WAGNER: Yes

13 ACTING CHAIR MCKONE: -- at the same -- so you  
14 had it indoor and outdoor, right?

15 DR. JEFF WAGNER: Yeah. Although, it wasn't the  
16 same kind of coverage. It was -- it was basically like  
17 one outdoor per city. And we had to measure how many  
18 kilometers it was from the indoor. Yeah. They were  
19 considerably more difficult to deploy, I know, because of  
20 power sources, and shelter, and that sort of thing.

21 ACTING CHAIR MCKONE: Yeah. And did you  
22 calibrate the PurpleAir? Again, coming -- there's -- I  
23 know people who've calibrated them and they worked fairly  
24 well, but it's useful to know --

25 DR. JEFF WAGNER: Yes.

1           ACTING CHAIR McKONE:  -- because they have some  
2     variability, but on average, they do pretty well.

3           DR. JEFF WAGNER:  Yeah.  That was definitely an  
4     interest of ours.  And I think we're going to be  
5     submitting a manuscript just on that part, because it was  
6     so complex.  We initially thought that we would need to  
7     co-locate with the federal reference monitor.  But then  
8     when we thought about the point of the study is not  
9     really -- the point of the study is indoor/outdoor ratio.  
10    So it was more important to make sure that they all agree  
11    with each other.  The precision, in other words, was more  
12    important to us than the accuracy.  But even that was a  
13    challenge, because we had something like 80 PurpleAirs.  
14    And we have a garage at CDPH, where that was not a  
15    problem, but getting WiFi access for that many units at  
16    the same time was unexpectedly challenging to have 80 WiFi  
17    connections in the same room.

18           So we're planning a study right now in Oakland  
19    that's going to have maybe four or five times that.  And  
20    we're just really struggling with how are we going to run  
21    this many WiFi connected devices in the same place.  What  
22    we did for this current study is we did three batches with  
23    some overlap between individual units and then regressed  
24    the mean of all 80 sensors against each individual one.  
25    And we did that pre- and post-study.  I think that they

1 performed so well, as far as consistency over -- granted  
2 only two and a half months, but the main utility of that  
3 was identifying ones which were just never going to  
4 perform. They were just bad units from the moment they  
5 came out of the box, and there was a few of those. So it  
6 was real useful to not learn that after this study was  
7 over.

8 (Laughter).

9 ACTING CHAIR MCKONE: I'm sorry. Now, that we're  
10 on PurpleAir, if people are cooking greasy foods and  
11 frying, did that -- did you see that show up?

12 DR. JEFF WAGNER: Yeah, I think all those  
13 spikes -- a lot of those spikes in that one plot were  
14 definitely cooking. And because this is a somewhat  
15 outdoor focused study, our colleagues at IIT are working  
16 on automated algorithms to identify very short-term spikes  
17 and do a separate analysis without them, with the  
18 assumption that that's a -- that's a screen for indoor  
19 generated exposures.

20 ACTING CHAIR MCKONE: Other questions, discussion  
21 points, comments, on the Panel.

22 José.

23 PANEL MEMBER SUÁREZ: I have a question about the  
24 VOC's table for the chart that you show there. The first  
25 question is are there significant differences that -- were

1 there statistically significant differences? Did you have  
2 enough power to look at differences? I see that probably  
3 benzene had the biggest difference between the outdoor air  
4 versus the indoor air. So I see --

5 DR. JEFF WAGNER: I'll see if I can get that  
6 slide up.

7 Yeah, so I believe this is about -- oh.

8 PANEL MEMBER SUÁREZ: I think it may be 17  
9 perhaps.

10 DR. JEFF WAGNER: Thank you.

11 PANEL MEMBER SUÁREZ: There, yeah.

12 DR. JEFF WAGNER: Apologize for the small view.  
13 Yeah, so you're speaking of the relatively low  
14 indoor/outdoor ratio for benzene.

15 PANEL MEMBER SUÁREZ: For benzene, yeah, there's  
16 like a big difference between outdoor air versus the  
17 indoor air there. Does that really suggest a  
18 statistically significant difference between them?

19 DR. JEFF WAGNER: I -- judging by the error bars,  
20 I would believe that the -- that it is not very  
21 significant, but we have yet to compute those stats. So I  
22 think what we will be planning to do would be to correlate  
23 those kinds of statistics with molecular weight, as well  
24 as typical indoor and outdoor sources. I mentioned a  
25 little bit before about the carbon filters that are on --



1 actually, we found filters for both the EC units and the  
2 indoor air cleaners ahead, like an odor control layer,  
3 which has some potential to capture some of these  
4 compounds. And our collaborators at IIT are also doing a  
5 lab study.

6           Unfortunately, I can't recall if benzene was one  
7 of the most highest catcher efficiencies, which would be  
8 one explanation for that relatively low indoor/outdoor  
9 ratio. But the problem with that type of activated carbon  
10 medium in general, is that things that adsorb to the media  
11 tend to desorb from the media eventually. They don't stay  
12 there forever. So -- but yeah, I appreciate your  
13 question. And, yeah, we will be looking at it.

14           Thank you.

15           PANEL MEMBER SUÁREZ: Yeah, we'd want -- so if  
16 you'd remind me, there were a total of 29 homes that  
17 were -- received the intervention, right? And they were  
18 divided how many in each one of the groups again?

19           DR. JEFF WAGNER: So for the EC filters, it was  
20 roughly -- it was roughly half and half for the 50 homes.

21           PANEL MEMBER SUÁREZ: Okay.

22           DR. JEFF WAGNER: Yeah.

23           PANEL MEMBER SUÁREZ: I'm just looking into  
24 the -- what you're presenting here. And maybe I'm  
25 overlooking into -- looking a little too hard at this, but

1 it's kind of interesting. So if you look at all the  
2 trends there and all of these different VOCs, the  
3 concentrations are highest outdoors and lowest with the  
4 indoor and the EC filter, with one exception, which is  
5 styrene. You see styrene is actually highest with the  
6 swamp cooler filter, plus the indoor air versus the indoor  
7 with just the indoor air filtration versus outdoors. It's  
8 very small, but it's kind of striking that it goes in the  
9 opposite direction of all the other ones.

10 DR. JEFF WAGNER: Yeah.

11 PANEL MEMBER SUÁREZ: And then, if you think  
12 about it -- and I wonder what type of filters they have.  
13 A lot of the filters do have some styrene in them,  
14 different plastic components into that --

15 DR. JEFF WAGNER: Yeah. Yeah.

16 PANEL MEMBER SUÁREZ: -- that I think tend to be  
17 relatively stable actually, unless there's heat involved.  
18 And so it makes you wonder a little bit, you know, if it's  
19 outdoors, and if it's hot, then they'll be releasing some.  
20 On the contrary though for that is that maybe you do see a  
21 little gradient there, but perhaps it doesn't -- the  
22 amount of release is so small, you're just tracking that.  
23 Maybe there was the use of something that included  
24 styrene, like in the filter or something like that, and  
25 maybe not necessarily a filter.

1 DR. JEFF WAGNER: Yea. It is a -- it is a pretty  
2 small difference statistically, but I appreciate your  
3 point that some of the materials used in those filters, we  
4 don't want -- we don't want those to become pollution  
5 sources. We are particularly concerned about filters that  
6 may get wet, in defective evaporative coolers, and then  
7 become a mold source. So that was one of the reasons we  
8 looked under the microscope at the filters to see if there  
9 was any evidence of like hyphae and like extreme mold  
10 growth. And we didn't see that luckily. Although, we did  
11 see a few units that were pretty wet.

12 They were mostly notable, because there was a lot  
13 of like lime and calcium deposits on the filters from all  
14 that water, so...

15 PANEL MEMBER SUÁREZ: Well, thank you.

16 ACTING CHAIR McKONE: All right, unless there are  
17 burning issues, we have one audience comment.

18 UNIDENTIFIED SPEAKER: Jenny online.

19 ACTING CHAIR McKONE: Oh, I can't see. So Jenny,  
20 you have a question.

21 PANEL MEMBER QUINTANA: Just a very quick one,  
22 which is you -- just when you left the participants when  
23 they exited the study, did you leave them the units and  
24 how many extra filters did you leave with them just in  
25 terms of participating in the study?

1 DR. JEFF WAGNER: So, for the -- for the swamp  
2 cooler filters, I believe that part of that community  
3 meeting was an exchange where they would get a new filter  
4 or, I'm sorry, can somebody correct me, I think that was  
5 for the indoor air cleaners, not the swamp cooler filters.  
6 I know that every participant received new filters on the  
7 way out. I think Rebecca is coming up.

8 And then we did have to take back the PurpleAirs,  
9 but we are working with the community to deploy PurpleAirs  
10 outdoors -- some of those units permanently outdoors.

11 REBECCA BELLOSO: Yeah. So all the participants  
12 that attended the community meetings received a  
13 replacement filter for the air purifiers as a -- as an  
14 incentive. And then we've left some replacement filters  
15 for swamps coolers with our community partner, if they  
16 were to request that, but we've also given them  
17 information on where to purchase.

18 PANEL MEMBER QUINTANA: Thank you.

19 DR. JEFF WAGNER: And we did hear anecdotally  
20 from our partners that there was -- there was a smoke  
21 event in the Coalinga area, unfortunately, after our study  
22 was over. But they observed some of the residents going  
23 out and deploying these swamp cooler filters, so it was  
24 encouraging.

25 ACTING CHAIR McKONE: Okay. Well, thank you.

1           Now, we're going to move on to the second  
2 presentation in this section. Our next speaker is  
3 Kimberly Valle. Kimberly is a doctoral candidate in  
4 public health at the University of California, Merced.

5           Today, she will be presenting on urinary  
6 biomarkers of response in relation to air pollutants in  
7 adults and children in the San Joaquin Valley.

8           (Slide presentation).

9           KIMBERLY VALLE: Hello, everybody. Today, I'll  
10 be presenting on the preliminary results for urinary  
11 biomarkers of response in adults and children from the San  
12 Joaquin Valley.

13          One second.

14                               [SLIDE CHANGE]

15          KIMBERLY VALLE: Great. I would like to mention  
16 that the content is solely the responsibility of the  
17 authors and does not represent the official views of the  
18 collaborators involved. The authors declared no conflict  
19 of interest and this research was supported by grants from  
20 the California Air Resources Board and the California  
21 Office of Environmental Health Hazard Assessment.

22                               [SLIDE CHANGE]

23          KIMBERLY VALLE: This work was made possible  
24 through the collaborators and support of these  
25 organizations.

1 [SLIDE CHANGE]

2 KIMBERLY VALLE: And I would like to begin by  
3 providing some background on air pollution. I'm pretty  
4 you all are very familiar with the topic, but just some  
5 general information that exposure to air pollutants such  
6 as particulate matter, nitrogen dioxide, and ozone have  
7 been associated with adverse health effects. The San  
8 Joaquin Valley is an area burdened by high air pollution.  
9 And indoor air quality is especially important, because  
10 children and adults spent most of their time indoors.  
11 Several factors contribute to poor air quality and that  
12 includes smoking, cooking, the use of candles or incense,  
13 poor ventilation, and of course the infiltration of  
14 traffic-related or other outdoor air pollutants.

15 [SLIDE CHANGE]

16 KIMBERLY VALLE: So today, we have heard about  
17 BiomSPHERE, which is a biomonitoring component of SPHERE.  
18 And as a friendly reminder, SPHERE is the San Joaquin  
19 Valley Pollution and Health Environmental Research Study.  
20 And this is the study where -- dedicated to the  
21 environmental measurements and adults were eligible  
22 participants, included adults 18 years or older with a  
23 child between the ages 3 to 13. This resulted in  
24 participant -- 64 parent-child pairs being part of the  
25 study. They were residents of Stockton and Fresno. Study

1 participants included 12 families in Stockton and 52  
2 families in Fresno. They were Spanish or English speakers  
3 and the sampling took place between February through  
4 November of last year.

5 For BiomSPHERE, which of course is the  
6 biomonitoring component of the study, 64 parent-child  
7 urine samples were collected for a subset of eight  
8 families. Daily urine samples were collected over four  
9 consecutive days. Now, the urine -- the urinary sample  
10 measurements included biomarkers of exposure, VOCs, PAHs,  
11 tobacco in smoke, which I will not be talking about today.  
12 But I will be talking about the biomarkers of response  
13 indicating oxidative stress, inflammation, and airway  
14 injury.

15 [SLIDE CHANGE]

16 KIMBERLY VALLE: The biomarkers of oxidative  
17 stress included 8-isoprostane. And 8-isoprostane  
18 indicates like lipid peroxidation caused by reactive  
19 oxygen species. High levels of 8-isoprostane reflect  
20 oxidative stress. And the other biomarkers of oxidative  
21 stress is 8-OHdG, which reflects DNA damage. Increased  
22 levels of OHdG have been associated with oxidative damage  
23 and genetic material.

24 [SLIDE CHANGE]

25 KIMBERLY VALLE: Prostaglandin E2, it's a

1 biomarker of inflammation and may indicate the body's  
2 response to environmental stressors. And high levels of  
3 air pollution exposure have been associated with increased  
4 inflammatory responses.

5 [SLIDE CHANGE]

6 KIMBERLY VALLE: Clara Cell Protein 16, also  
7 known as CC16, is a biomarker of airway injury to the  
8 respiratory tract lining. Now, several studies show that  
9 long-term exposure to air pollutants damages CC16  
10 producing club cells, leading to decreased levels of CC16,  
11 which might result in decreased lung function. However,  
12 other studies have demonstrated that increased  
13 concentrations of CC16 can also indicate airway injury,  
14 due to short-term air pollution exposure. So there's  
15 this -- according to the literature, there's this  
16 information that long-term exposure may lead to lower  
17 levels of CC16, but short-term exposure leads to increased  
18 levels.

19 [SLIDE CHANGE]

20 KIMBERLY VALLE: So for -- what I'm presenting  
21 today are the study objectives, which were to examine the  
22 distribution of four urinary biomarkers of response in  
23 adults and children from the San Joaquin Valley, to  
24 evaluate the association of the biomarkers with  
25 measurements of air pollutants in participants' homes, and



1 to characterize the temporal variability in the biomarker  
2 measurements over several days.

3 [SLIDE CHANGE]

4 KIMBERLY VALLE: In terms of the study design for  
5 the urine samples, this included 64 parent-child pairs.  
6 The urine samples were morning samples and most of them  
7 were first morning void. For a subset of eight families,  
8 samples were collected over four consecutive days and  
9 urine sample measurements included 8-isoprostane, 8-OHdG,  
10 PGE2 and CC16. All biomarker measurements were adjusted  
11 for specific gravity and log2 transformed.

12 Now metabolite concentrations were specific  
13 gravity adjusted to account for urine dilution. And we  
14 used specific gravity instead of creatinine to adjust  
15 concentrations, because age has a significant impact on  
16 urinary creatine levels.

17 [SLIDE CHANGE]

18 KIMBERLY VALLE: So the urine -- the urine  
19 samples were analyzed using ELISA kits. And they were  
20 analyzed by the Holland Lab at UC Berkeley. And each  
21 biomarker was evaluated using their respective ELISA kit,  
22 as we see on screen.

23 [SLIDE CHANGE]

24 KIMBERLY VALLE: Now, for the indoor air  
25 monitoring, average computed 12 hours prior to the urine

1 sample. And here what you see on screen is a picture of  
2 the indoor cart that was deployed. We used a SENSIT RAMP  
3 from SENSIT Technologies to collect real-time indoor air  
4 quality data. And we collected information on -- we  
5 collected data on nitrogen dioxide, ozone, and particulate  
6 matter. For the analysis, the air pollutants were log2  
7 transformed.

8 [SLIDE CHANGE]

9 KIMBERLY VALLE: Now, this table presents the  
10 demographic characteristics of the parents or the  
11 guardians. And now, I want to point out that there -- the  
12 number is 63, because there was a participant that  
13 provided a very low volume. And therefore, when looking  
14 into the urine samples, we were able to analyze 63 of  
15 them. So here we have the demographic characteristics for  
16 the participants, which included nearly equal  
17 distributions, Spanish and English speakers. Most  
18 participants were female. Most participants were Hispanic  
19 or Latino. Most of the participants were the parent of  
20 the child with a mean average of 42 years old. Most  
21 participants have not graduated from high school, and the  
22 family annual income was up to \$30,000.

23 [SLIDE CHANGE]

24 KIMBERLY VALLE: Now, this table presents  
25 addition -- sorry, this table presents the demographic

1 characteristics of the children and similar as the parent.  
2 We had two children who provided very little volume of  
3 urine. Therefore, we were not able to complete the  
4 analysis. So the -- we almost had an equal distribution  
5 of male and female children. The average age of the child  
6 was roughly nine years old. And roughly 60 percent of the  
7 children were in the BMI category of being overweight or  
8 obese.

9 [SLIDE CHANGE]

10 KIMBERLY VALLE: This figure presents the  
11 distribution of oxidative stress biomarkers in adults and  
12 children. To the left, we see the levels of 8-isoprostane  
13 and to the right, we see the levels of OHdG. Now, I do  
14 want to mention that they each have their different --  
15 their respective values on the Y axis. And both  
16 biomarkers had it in a hundred percent detection rate in  
17 adults and children. We conducted a t-test to evaluate  
18 the differences between adults and the children, and we  
19 observed no significant difference in biomarkers of  
20 oxidative stress among adults and the children.

21 [SLIDE CHANGE]

22 KIMBERLY VALLE: Now, this figure presents a  
23 distribution of PGE2 and CC16 in adults and children. To  
24 the left, we have the levels of PGE2, and to the right, we  
25 have levels of CC16. Again, they have different values on

1 the Y axis. And for the adults, both biomarkers had 98  
2 percent detection rate. However, for the children, they  
3 had a hundred percent detection rate. We conducted a T  
4 test to evaluate the difference for the adults and the  
5 children. And PGE2 was significantly different in adults  
6 and children with children having higher levels of PGE2,  
7 while CC16 did not statistically differ from the adults or  
8 the children.

9 [SLIDE CHANGE]

10 KIMBERLY VALLE: Now, previous scientific  
11 findings have explored the relationship between the four  
12 biomarkers in age and BMI. Although, the results are not  
13 displayed here, we did not observe a significant  
14 association between the biomarkers and age or BMI. Now,  
15 we did investigate the sex difference among male and  
16 female children. And that is what is displayed on screen.  
17 And this figure presents signif -- the significant mean  
18 difference in biomarkers of oxidative stress and airway  
19 injury in children. So females -- female children had  
20 higher levels of OHdG and female children have  
21 statistically significantly lower levels of CC16.

22 [SLIDE CHANGE]

23 KIMBERLY VALLE: We evaluated the short-term  
24 temporal variability of the four -- of the four biomarkers  
25 of response and this was the analysis conducted with the

1 subset of families which provided samples over four  
2 consecutive days. And we observed higher within-subject  
3 variability compared to between subject variability among  
4 adults and children for the biomarkers of oxidative stress  
5 and inflammation. However, we observed higher between  
6 subject variability compared to within-subject variability  
7 among adults and children for CC16.

8           These results suggest that while 8-isoprostane,  
9 8-OHdG, PGE2 levels fluctuate considerably within  
10 individuals over time, CC16 levels are more stable with  
11 greater variability in participants.

12                           [SLIDE CHANGE]

13           KIMBERLY VALLE: Now, in summary, so far, there  
14 was no significant difference among parent-child pairs for  
15 biomarkers of oxidative stress and airway injury. PGE2  
16 was higher in children compared with adults. Female  
17 children had higher levels of 8-OHdG compared to male  
18 children. Female children had lower levels of CC16  
19 compared to -- compared with male children. And there was  
20 higher within-subject variability compared with between  
21 subject variability among adults and children for  
22 biomarkers of oxidative stress and inflammation. Now,  
23 there was higher between subject variability compared with  
24 between -- within-subject variability among adults and  
25 children for CC16.

1 [SLIDE CHANGE]

2 KIMBERLY VALLE: We investigated the relationship  
3 between the biomarkers of response and indoor air quality.

4 [SLIDE CHANGE]

5 KIMBERLY VALLE: And here, we have on screen a  
6 table that shows -- that shows the indoor air quality  
7 measurements for the participants 12 hours prior to the  
8 urine collection. And I do want to point out that these  
9 are 12-hour averages, which make it difficult to compare  
10 the national air quality standards, especially because  
11 we're also focusing on indoor, but I do want to get your  
12 attention to the levels of PM2.5, which are very high.  
13 And the 24-hour average national air quality standard is  
14 35 micrograms per cubic meter, but we do observe that in  
15 the Central Valley. We have families with 12-hour  
16 averages that reach above 90 micrograms per cubic meter.

17 [SLIDE CHANGE]

18 KIMBERLY VALLE: Now, we conducted linear  
19 regression models and we observed that a twofold increase  
20 in nitrogen dioxide exposure was significantly associated  
21 with a 2.4 increase in adult urinary PGE2 concentrations.  
22 And we also observed that a twofold increase in ozone was  
23 significantly associated with a 2.6 increase in adult  
24 urinary CC16 concentration. So among the children, we  
25 observed no significant associations between the indoor

1 air pollutant and the biomarkers of response.

2 [SLIDE CHANGE]

3 KIMBERLY VALLE: So in summary, few studies have  
4 examined these biomarkers in communities  
5 disproportionately impacted by air pollution. None have  
6 examined short-term temporal variability. Among adults,  
7 we found positive associations between indoor nitrogen  
8 dioxide levels and PGE2, and indoor ozone levels and CC16.

9 No significant association between air pollutants  
10 and the child biomarkers were observed. And except for  
11 CC16, the higher within-subject variability suggests that  
12 single measurements may not characterize long-term  
13 oxidative stress or inflammation status. And the high  
14 short-term variability could point to impacts of  
15 short-term exposures, although we did not observe the  
16 association between the measured air pollutants and  
17 response biomarkers in children. Additional studies are  
18 needed to better understand the nuances and utility of  
19 these biomarkers as indicators of air pollution exposure  
20 and morbidity.

21 [SLIDE CHANGE]

22 KIMBERLY VALLE: Now, there are additional  
23 extensive laboratory measurements. Here, we see a table  
24 of the additional laboratory measurements, where they're  
25 being analyzed and the status of each laboratory analysis.

1 So the additional laboratory analysis include VOCs --  
2 urinary VOC metabolites, urinary PAHs metabolites,  
3 cotinine, PAHs in air and VOCs in air.

4 [SLIDE CHANGE]

5 KIMBERLY VALLE: The next steps are to evaluate  
6 the biomarker measurements in relationship to: urinary  
7 biomarkers of VOCs, PAHs, tobacco in smoke; looking into  
8 outdoor 24-hour monitoring for nitrogen dioxide, ozone,  
9 and particulate matter; PAHs in the air indoor and  
10 outdoor; VOCs in the air; also looking into nearby traffic  
11 matrix -- metrics - apologies - and looking into levels of  
12 criteria air pollutants from community science, which are  
13 PurpleAir monitors and regulatory monitors over short term  
14 and long term, for example looking at days, weeks, a month  
15 prior to urine collection; and we do have questionnaire  
16 information on asthma diagnosis, medications. Of course,  
17 looking into these biomarkers in the questionnaire data.

18 [SLIDE CHANGE]

19 KIMBERLY VALLE: We would like to give thank you  
20 to our community partners for their support and  
21 contributions to this project. And also, we would like to  
22 thank and acknowledge the support of the contributors,  
23 which the list is --

24 [SLIDE CHANGE]

25 KIMBERLY VALLE: -- much longer, but, yeah, we



1 want to say thank you.

2 ACTING CHAIR MCKONE: Thank you very much.

3 KIMBERLY VALLE: Yeah.

4 ACTING CHAIR MCKONE: Once again --

5 (Applause).

6 ACTING CHAIR MCKONE: Once again, we're going to  
7 begin with a short period of questions, more of a  
8 clarifying nature starting with the Panel and then going  
9 to the audience. And then after that, we'll have roughly  
10 15 minutes for more in-depth discussion and questions.

11 So we can begin with the Panel and the questions  
12 to begin.

13 Oh, Jenny, go head. Once again my view is  
14 blocked.

15 PANEL MEMBER QUINTANA: Hi. Jenny Quintana.

16 I was just wondering if in your future plans that  
17 you thought you might try to figure out how many subjects  
18 would be needed, given the variability, like just to  
19 inform future studies. If they could one take one sample,  
20 would they need 10 times as many participants that kind of  
21 thing and I'm sure it varied by biomarker, but it might be  
22 very useful to help inform future studies.

23 KIMBERLY VALLE: Yeah. I think that's a good --  
24 yeah, of course, I'm going to invite Asa as one of the PIs  
25 of the project to answer that question.

1 DR. ASA BRADMAN: Sure. Thank you. And  
2 Kimberly, I want to congratulate you. Great job. Yeah, I  
3 think that's a really good point. And kind of like with  
4 the EBDEP study where we had repeat samples for the  
5 1-nitropyrene. This is actually the first study here that  
6 I think we could find that's ever been done actually  
7 looking at consecutive daily samples with these  
8 biomarkers, and both to better understand the short-term  
9 variability but absolutely we can use that to see what  
10 kind of power do we need to do a larger study. And so as  
11 far as we know, this will be a contribution to the  
12 literature in that arena.

13 PANEL MEMBER QUINTANA: Thank you. And I forgot  
14 to congratulate the speaker on a really well presented  
15 talk and very clear. Thank you.

16 KIMBERLY VALLE: Thank you.

17 ACTING CHAIR MCKONE: Other questions from the  
18 Panel?

19 PANEL MEMBER SUÁREZ: I just have question.

20 ACTING CHAIR MCKONE: Yes, José.

21 PANEL MEMBER SUÁREZ: I have a question that I'm  
22 still trying to formulate.

23 (Laughter).

24 PANEL MEMBER SUÁREZ: So CC16 -- so I see the  
25 use, right, of trying to have certain biomarkers track

1 health that would be easily collected via urine in this  
2 case, and you select a few different ones. CC16 seems to  
3 be kind of a challenging one, right? As you a very well  
4 mentioned, chronic exposure, I think you said it was lower  
5 concentrations and then acute exposures higher or vice  
6 versa. I can't remember which, which is very puzzling in  
7 itself, right, these associations?

8           So the way that I interpreted that with the  
9 associations that you found there, would those be mainly  
10 tracking the chronic exposures? So the associations they  
11 were finding with the positive associations in adults of  
12 CC16 would that be more reflective of a chronic effect of  
13 the exposure?

14           KIMBERLY VALLE: So we saw a positive association  
15 between like ozone levels and CC16. So in this case, I  
16 think the biggest thing is how we are defining exposure.  
17 So in this case, since we were looking at 12 hours prior  
18 to the urine sample collection, that would be a short-term  
19 exposure. So we would expect an increase. However, I do  
20 think that that is one of the most challenging aspects of  
21 CC16, which goes into the definition of what exactly --  
22 what is the time frame of exposure.

23           I know for individuals with chronic conditions,  
24 CC16 levels tend to be lower, given that their respiratory  
25 health is not functioning as, for example, healthy

1 individuals. So I think this is when you get into like  
2 the nitty-gritty of the study design and how exactly are  
3 we defining or measuring exposure with these biomarkers.

4 PANEL MEMBER SUÁREZ: Yeah, which is a challenge  
5 in general with environmental health.

6 KIMBERLY VALLE: Um-hmm, Of course.

7 PANEL MEMBER SUÁREZ: You have a biomarker and if  
8 it's a very short half-life biomarker, then you're really  
9 tracking a short exposure.

10 KIMBERLY VALLE: Of course.

11 PANEL MEMBER SUÁREZ: So then you can say, well,  
12 maybe the day-to-day exposures are correlated with each  
13 other, maybe that short-term exposure, you know, has a  
14 correlation with the long-term exposure, but challenging  
15 with this particular part. And I thought it was  
16 interesting also your finding there with just the  
17 differences comparing children versus adults with  
18 inflammation markers. What are you thoughts?

19 KIMBERLY VALLE: Yeah, definitely. So this was a  
20 question that came up during my practice run that it's  
21 like why did children have higher levels of inflammation?  
22 And I did do a little bit of more back-end.

23 And then a few children did report that they had  
24 flu-like symptoms, so they had -- they were experiencing  
25 flu symptoms, so that can be an indicator of why we see

1 these high levels of inflammation in the children. Then  
2 other children reported that one of them sprained their  
3 arm and another -- like they were -- they had some type  
4 of -- they were feeling sick, so I think that can -- that  
5 provides information on why we saw increased levels of  
6 inflammation in children.

7 Now, going back to your question about the  
8 differences, I think that this is just a tiny little --  
9 these are just results compared to like the big picture.  
10 I'm definitely interested in looking at these biomarkers  
11 and looking at the outdoor, the traffic-related air,  
12 traffic-related air pollutant information. A lot of the  
13 literature has looked at one week, one month, six months.  
14 And as part of the questionnaire information -- as part of  
15 the questionnaire, we do have information on how long they  
16 ended -- the participants have lived in their home. So I  
17 think that provides -- that can provide -- that  
18 information can provide a better picture of the exposures  
19 the children and the adults are experiencing.

20 PANEL MEMBER SUÁREZ: Um-hmm. Yeah, well --  
21 which kind of brings up an important point, right? So you  
22 would either want to account for that or perhaps restrict  
23 the participation -- inclusion of the data of participants  
24 that have some sort of a chronic health condition or --

25 KIMBERLY VALLE: Definitely.

1 PANEL MEMBER SUÁREZ: -- an acute inflammatory  
2 condition for these differences.

3 Although, interestingly though, in one of our  
4 prospective cohorts of children, we were surprised by this  
5 as well. So we looked a lot of different biomarkers in  
6 serum, including CRP, TNF-alpha, ICAM, VCAM, SAA, a few --  
7 and a few others. And for all of them, the concentrations  
8 were much higher in younger adolescents than they were in  
9 older adolescents, very strong differences. And so we  
10 were scratching our heads. We would expect the younger  
11 people to have less inflammation than older ones. Maybe  
12 that really applies to older adults versus younger adults.

13 But it's something that we're thinking is  
14 happening is that there's a normal amount of inflammation  
15 happening in development. As children are growing,  
16 there's a lot of inflammation because, you know, their  
17 tissues are stretching. And so that could be something  
18 worth thinking about here in the write-up of things and  
19 what exactly this case is prostaglandin E2, what exactly  
20 it's tracking, and can you make that to what other studies  
21 have been observed for instance.

22 KIMBERLY VALLE: Of course. Thank you so much  
23 for that information.

24 ACTING CHAIR MCKONE: Before we go into my  
25 substantive discussions on the panel, I would like to just

1 take a minute to open up for any early audience and online  
2 questions that we may have.

3 DR. AHIMSA PORTER SUMCHAI: I just had some  
4 thoughts that the --

5 ACTING CHAIR McKONE: Please identify.

6 DR. AHIMSA PORTER SUMCHAI: -- conversation is so  
7 stimulating. Excellent work. You know, I'm just so proud  
8 of you doing work that is so powerful and so vanguard,  
9 but, you know, perhaps we're looking, you know, at the  
10 differences between inflammation in biomarkers in terms --  
11 versus adults, maybe we're looking at behavioral, you  
12 know, anthropometric differences. Children are outdoors.  
13 They're playing more actively. They are smaller  
14 creatures. They're closer to the ground, closer to the,  
15 you know, earth. They're breathing more rapidly and, you  
16 know, taking in potential sources of inflammation.

17 The other point I'd like to make very quickly is  
18 that obesity is a pro-inflammatory state. And I know that  
19 we're looking specifically at biomarkers for airway  
20 injury. But obesity itself is a pro-inflammatory state.  
21 And perhaps there's something there. And then, of course,  
22 there's the immaturity of the immune system.

23 So I just wanted to make those points.

24 Another quick point, excellent work. You know,  
25 PM2.5, the medical literature is very profound in

1 identifying that ultrafine particulates, you know, less  
2 than a tenth of a micron. Those are the ones that cause  
3 the most damage. They stay in the long -- in the long --  
4 longer. They're associated with hypertension, inflamma --  
5 excuse me ischemic heart disease, a stroke. So  
6 ultimately, that's the direction we're moving in.

7 And then the final point, Medicare does authorize  
8 a physician request for durable medical equipment for air  
9 purifiers in filters for individuals who, you know, meet  
10 medical necessity.

11 ACTING CHAIR MCKONE: Could you identify.

12 DR. AHIMSA PORTER SUMCHAI: Oh, Dr. Ahimsa  
13 Sumchai, Hunters Point Biomonitoring Program.

14 ACTING CHAIR MCKONE: Thank you.

15 Other audience or online questions?

16 Well, we can now move into more -- I mean, we  
17 were starting a more substantive discussion I think.

18 (Laughter).

19 ACTING CHAIR MCKONE: I mean, I have -- I wanted  
20 to expand a little bit on this issue of, you know, this --  
21 especially the effect biomarkers. How frequently are  
22 those associated with other factors that are not air  
23 pollution stressors -- I mean, other stressors in their  
24 environment, diet, but also even factors. People have  
25 shown linguistic isolation. Education levels. There's a



1 lot of things, employment status, that can trigger some of  
2 these markers in the same way that you would see from air  
3 pollution. And is there some ability at least to record  
4 what those factors are from questionnaires and how they  
5 might play in?

6 KIMBERLY VALLE: Thank you for your question. So  
7 we do have information as part of the survey questionnaire  
8 on diet. Some of the literature does indicate that diet  
9 can be a big factor like you mentioned influencing these  
10 biomarkers. So, of course, as we think about the future  
11 of -- the future projects or looking into the analysis  
12 I've conducted, of course taking into account all these  
13 different covariates, all these different variables that  
14 may be impacting their results, so that's definitely more  
15 work on our end that needs to be done. But the fortunate  
16 part is that we do have information on diet. We do have  
17 information on health insurance.

18 Asa can probably talk more on the future -- the  
19 future direction of the projects, but we are definitely  
20 thinking about how all these factors can be influencing  
21 the level -- the biomarkers levels -- biomarkers of  
22 response levels.

23 ACTING CHAIR McKONE: Thank you.

24 Any others?

25 José.

1 PANEL MEMBER SUÁREZ: I noticed that for adults,  
2 it's primarily the moms that are involved --

3 KIMBERLY VALLE: Yes.

4 PANEL MEMBER SUÁREZ: -- in the data. And we  
5 know that for a lot of different reasons, different  
6 studies and whatnot, but it was a very striking difference  
7 though. Was the recruitment -- tell me a little bit about  
8 the recruitment of the participants and why this got  
9 about.

10 KIMBERLY VALLE: For sure. So most of the  
11 participants were female. The participants were recruited  
12 with our community partners, so with Little Manila Rising  
13 and Central California Asthma Collaborative. I think this  
14 is the nature of conducting studies with, of course,  
15 individuals that we don't have control of who is recruited  
16 or who would like to participate in this study. However,  
17 I do want to mention that this also brings up a great  
18 opportunity for future studies to definitely do more  
19 outreach in different places where it mainly -- more male  
20 individuals would like to be part of the study.

21 So, yeah, going back to your question, the  
22 recruitment was done through our community partners.  
23 There was a list of interests. Individuals would reach  
24 out to our community partners to see if they were  
25 interested. From there, we would -- they would or we

1 would go through the eligibility criteria. But like I  
2 mentioned, I think that other studies also indicate that  
3 they have more enrollment of females, which that can  
4 potentially leave us with a question of, well, what are  
5 the biomarker levels in the male population, which, like I  
6 mentioned, could be a great opportunity for recruitment  
7 efforts to be tailor -- having more tailor recruitment  
8 efforts for future biomonitoring studies.

9 PANEL MEMBER SUÁREZ: Yeah. Certainly I think  
10 something worth thinking about at the --

11 KIMBERLY VALLE: Of course.

12 PANEL MEMBER SUÁREZ: -- next stages of the  
13 project, right, how can you start incorporating more  
14 males?

15 KIMBERLY VALLE: Of course.

16 PANEL MEMBER SUÁREZ: I mean, we don't want to  
17 give up on one particular group just because it's hard to  
18 focus on them, but you can still recruit them through the  
19 mothers, have them bring in, if possible. So I think this  
20 is a very interesting -- a very interesting study that  
21 opens up a lot of questions at the next stages of --

22 KIMBERLY VALLE: Of course. I agree. And I  
23 think that's the beauty of taking a step back and  
24 reflecting on what went well with certain studies, what  
25 didn't go well. And, of course, the things that didn't,

1 and also take a second to evaluate what growth  
2 opportunities for different research studies. So in this  
3 case, now we know that we should definitely spend maybe  
4 more time or do a little bit of more recruitment effort to  
5 see -- to hopefully have a representative sex -- like --  
6 sample.

7 PANEL MEMBER SUÁREZ: Was this your dissertation?

8 KIMBERLY VALLE: This is one of the chapters.

9 (Laughter).

10 KIMBERLY VALLE: There -- each chapter focuses on  
11 a different data set. So, I'll be defending February  
12 22nd, but --

13 PANEL MEMBER SUÁREZ: All right. So hopefully  
14 we're giving you some preparatory questions here.

15 KIMBERLY VALLEY: Yes. Yes.

16 (Laughter).

17 PANEL MEMBER SUÁREZ: Thank you very much.

18 KIMBERLY VALLE: Thank you so much for the  
19 questions.

20 ACTING CHAIR MCKONE: Okay. Other questions?

21 Yes, Amy.

22 PANEL MEMBER PADULA: I just have a small  
23 question. It was a great job, but I was wondering if you  
24 had the BMI of the adults?

25 KIMBERLY VALLE: Great question. Unfortunately,

1 we do not have BMI of the adults. A lot of the litera --  
2 well, yeah, the literature indicates that we should be  
3 looking at the biomarkers in relation to BMI. We are  
4 fortunate that we can do this with the children. But with  
5 the adults, we just have the age, and the gender, and  
6 other health questions, but we do not have the height or  
7 the weight of the parti -- adult participant.

8 ACTING CHAIR MCKONE: Questions from the  
9 audience? I should welcome anyone.

10 Well, if there's no other questions or comments,  
11 I think we can move on to our next topic. We're just  
12 slightly ahead of schedule, but not that much.

13 So thank you again, Kimberly, for your  
14 presentation.

15 (Applause).

16 ACTING CHAIR MCKONE: Thank you, everyone for the  
17 enlightening discussion. So now the next topic we're  
18 going to cover is planning for the 2025 SGP meetings. And  
19 to lead us to start this discussion, Martha Sandy from  
20 OEHHA will be making a presentation. And then we'll have  
21 a period of time to ask questions and respond to comments.

22 (Slide presentation).

23 DR. MARTHA SANDY: Thank you, Tom. And I'm  
24 filling in for Stephanie Jarmul who is still out on  
25 maternity leave, but will be back for the next meeting.

1           So we're here to talk about the coming year and  
2 planning for the meeting. Let's see. So how do I  
3 advance? I'm pressing --

4                               [SLIDE CHANGE]

5           DR. MARTHA SANDY: There we go. Thank you.

6           So we finally today have settled on the dates for  
7 next year. Hard to get you all together. We'll be  
8 meeting on March 25th from 1 to 4, and August 27th from 10  
9 to 4, and November 14th from 1 to 4. So those are our  
10 expected dates for next year.

11                           [SLIDE CHANGE]

12           DR. MARTHA SANDY: And now to talk about the  
13 topics. Similar to past years, our standing agenda is  
14 going to include Program updates, as well as more detailed  
15 project updates, just like we've done today. And so we'll  
16 hear updates on surveillance studies and community studies  
17 with those project updates. We'll have ample time  
18 allotted during the meetings for discussion and input from  
19 the Panel and the audience. And then as you look on the  
20 right-hand side, we've got a number of different potential  
21 topics of interest that we're considering to bring to you  
22 for the coming year. And we're looking for input today  
23 from the Panel on this list and what really strikes your  
24 fancy, because we can't do them all.

25           Potential topics include hearing from invited

1 speakers and having a discussion with the Panel on  
2 biomonitoring health-based guidance values, hearing from  
3 invited speakers on the use of creatinine adjustment  
4 versus specific gravity adjustment for urinary biomarker  
5 measurements, discussing how the impacts of climate change  
6 could be considered when we're designing our biomonitoring  
7 studies, hearing from invited speakers on studies using  
8 silicone wristbands, to detect chemical exposures. And we  
9 could also hear from experts on microplastics and discuss  
10 the challenges and opportunities associated with  
11 environmental monitoring and biomonitoring. And  
12 continuing with this past year's discussions of oil and  
13 gas exposures, we could hear from researchers on the  
14 latest findings from ongoing studies and exposed  
15 communities.

16           So I'll stop there and see if anybody has  
17 questions or suggestions about these plans for the coming  
18 year on any of the specific topics shown on the right side  
19 of this slide.

20           ACTING CHAIR McKONE: Okay. Someone -- question.  
21 I have -- I have one if nobody else -- so on that last  
22 topic of oil and gas exposures. One thing, and we've been  
23 seeing literature come out about exposures in homes to  
24 natural gas -- components in natural gas. And some of  
25 this is fairly new, but the -- there's benzene that comes

1 out of natural gas when you're not using the stove. It  
2 diffuses out. And they're measuring, you know, not  
3 trivial levels in some cases, depending upon the benzene  
4 levels. So that's kind of an extension of the oil and  
5 gas.

6 But I think it's an interesting topic, because  
7 the use of natural gas for heating and particularly in  
8 cooking. Again, it's linked to climate change. It's  
9 linked to climate mitigation solutions. I mean, it  
10 crosses over a number of things, but I don't know if  
11 there's a way to link some of the biomonitoring to measure  
12 exposures to natural gas components in homes. It's been  
13 done a lot with measurements of air, but not with a direct  
14 biomonitoring study. And it may be difficult to do,  
15 because the components you're looking at come from other  
16 sources, but...

17 DR. MARTHA SANDY: Right. And I think we heard  
18 last -- at our last meeting we had VOCs in the EBDEP  
19 study, right? And I think there were some elevations  
20 associated with gas -- having a gas stove or gas water  
21 heater. So we can we -- we do ask those types of  
22 questions in our questionnaires, so we can look at that a  
23 little more closely. But it is hard to separate out -- or  
24 pinpoint it to a certain source, because people don't just  
25 stay in their homes. They're out and about being exposed



1 to other sources of benzene perhaps. But good point.

2 ACTING CHAIR McKONE: Other thoughts.

3 I have another one. So, for climate change are  
4 there markers that -- biomarkers for heat stress that we  
5 can use?

6 DR. MARTHA SANDY: You know, that's something we  
7 will be looking into. I don't have -- maybe other  
8 Panelists have the answer to that right now, but that is  
9 something we could explore. That's why we -- I think you  
10 suggested this, Tom. At our July meeting, how can we  
11 incorporate these things into our study's concerns, you  
12 know. So we'll -- we will look into that.

13 ACTING CHAIR McKONE: Did you want a sense from  
14 the Panel about priorities among these or are these all  
15 topics you want to go ahead on that they've come up, and  
16 you're asking us if it's okay to keep moving forward on  
17 these or should we prioritize them?

18 DR. MARTHA SANDY: I think it's a mix of what can  
19 we do, what's available, who are the speakers, what new  
20 research is available, and what are Program priorities and  
21 hearing from the Panel is what you're most interested in.  
22 So we'd like to take all that into account. So I really  
23 would like to hear from the Panel if any of these topics  
24 are really high up on your list of things to dig into.

25 ACTING CHAIR McKONE: Carl. Okay. Carl, do you

1 have a comment?

2 PANEL MEMBER CRANOR: Yes. Thank you. Martha,  
3 this is a question that's probably way too far afield, but  
4 as I've listened to some of the presentations today, the  
5 Biomonitoring Program now has a substantial body of  
6 evidence that has been assembled from local studies,  
7 regional studies, and so forth. Can you make any  
8 inferences -- I mean, this is a -- this is a big project,  
9 a separate project I'm sure. Can one make any inferences  
10 from that about the environmental threats or safety of  
11 Californians from these studies that have been done? I  
12 know it's a big question, but you might put it out on your  
13 far, far calendar of something to consider sometime.

14 DR. MARTHA SANDY: Yes. It's an important  
15 overall question that we should always keep in mind.  
16 That's why we're doing these studies to find out what  
17 Californians are exposed to and are different communities  
18 within California exposed to higher levels than other  
19 communities or comparing them to NHANES data and other  
20 national data to suggest to us that maybe there's higher  
21 exposures to a certain environmental, you know,  
22 contaminant that we're more concerned about. So, I'll  
23 alternatively, it can show that Californians have lower  
24 levels of exposure to chemicals and that may be --

25 PANEL MEMBER CRANOR: Right. Well, we might

1 like -- we might like to think that we do better than  
2 elsewhere, but I don't know what's -- I don't know what's  
3 the case. But it might be an interesting -- an  
4 interesting separate but big project probably.

5 DR. MARTHA SANDY: Right. I -- yeah, I think  
6 it's best to take it sort of chemical at a time or groups  
7 of chemicals. And we've heard presentations on, for  
8 example, the SAPEP study with the school children, where  
9 we're seeing lower levels of some VOC metabolites in the  
10 urine compared to children in NHANES. So we do try to  
11 look at this. Sometimes we can tell, but it's something  
12 to keep in mind. Thank you for that.

13 PANEL MEMBER CRANOR: Thank you.

14 ACTING CHAIR MCKONE: I see Jenny has her hand  
15 up.

16 PANEL MEMBER QUINTANA: I think Oliver was first.

17 ACTING CHAIR MCKONE: Okay.

18 PANEL MEMBER QUINTANA: You're quicker off the  
19 mark, I think.

20 ACTING CHAIR MCKONE: Oh, I couldn't see his  
21 hand. It's so --

22 PANEL MEMBER QUINTANA: Go ahead. Go ahead,  
23 Oliver.

24 PANEL MEMBER FIEHN: Okay. Well, thank you.  
25 Those were all great presentations.

1           For next year, I think the idea of looking at  
2 climate change and exposure to climate change and thinking  
3 about what to do or how to avoid these exposures, that's  
4 really relevant for California. It might be relevant for  
5 the nation for that matter. You know, especially with the  
6 wildfires and the droughts, I mean we will see more of  
7 that all the time. And so we need to think about how to  
8 monitor that and potentially at some point even biomarkers  
9 of exposures.

10           DR. MARTHA SANDY: Thank you.

11           ACTING CHAIR McKONE: Now, Jenny, it's your turn.

12           PANEL MEMBER QUINTANA: Hi. I wasn't expecting  
13 to have to memorize a list, so I don't know if I got  
14 everything on there, but -- because I was -- I didn't  
15 write it down before you took off the slide. But I think  
16 that -- I'm just thinking about the biomonitoring --  
17 California Biomonitoring and what we should focus on in  
18 terms of value added from biomonitoring. I think the  
19 creatinine versus specific gravity is just a practical one  
20 that keeps coming up over and over again. I think it  
21 would be useful because it's very useful to interpret  
22 results and isn't as obvious as it might appear for those  
23 chemicals that are kind polar, kind of not polar,  
24 whatever.

25           And then also the health guidance values, what

1 does this mean or are they -- kind of having guidance for  
2 the community about what these things mean I think would  
3 be obviously a valuable contribution. Although I think  
4 all those topics are very interesting myself very much.

5 But also, I -- just to follow up a little bit on  
6 what you said earlier that comparing our results to NHANES  
7 is -- I've always wondered if we should do some  
8 downloading of the NHANES data and then make a subset we  
9 should really compare it to. For example, California has  
10 a much lower smoking rate than the nation and much lower  
11 exposure to secondhand smoke because of all of our  
12 policies. So, looking at values in the blood of people,  
13 they're from Tennessee or what have you, they have a lot  
14 of exposure from that, which Californians don't have, and  
15 it might mask exposures from wildfires or from fire  
16 fighting or something like that. So I'll also be  
17 interested to like what should we be comparing to  
18 nationally.

19 And since we talked about wide-ranging topics --  
20 I'm sorry to go off topic a little bit, but I do want to  
21 come back to what makes California Biomonitoring special  
22 versus relying on NHANES and its ability to look for new  
23 and emerging chemicals. It's -- and potentially to look  
24 at populations that are not captured by NHANES, such as  
25 more immigrant populations, special worker populations,

1 things like that. So I just want to stay out there. Nice  
2 to have speakers to think about how we could move towards  
3 maximizing the value of the great program.

4 Thank you.

5 DR. MARTHA SANDY: Thank you. All good things to  
6 keep in mind. Thank you very much.

7 ACTING CHAIR MCKONE: I want to point out this  
8 discussion is also open to the audience, both online and  
9 in the room.

10 PANEL MEMBER LUDERER: One of the -- I mean,  
11 interest -- one of the things that I find particularly  
12 interesting, but I think also challenging is the exposures  
13 to microplastics and how -- you know, I think most of the  
14 studies that have been done have looked at particles  
15 specifically and not necessarily measuring the chemical  
16 components of the microplastics. And so I was wondering  
17 if you had -- you know, the Program has done any work kind  
18 of thinking about how those kind of -- how you would want  
19 to go about measuring those exposures to microplastics?

20 DR. MARTHA SANDY: Well, I think that's why we  
21 suggested as a topic we'd invite people to have that  
22 discussion.

23 PANEL MEMBER LUDERER: Yes.

24 ACTING CHAIR MCKONE: José.

25 PANEL MEMBER SUÁREZ: Yeah. So in two of the

1 talks today, there was discussion about presenting results  
2 to the participants and returning them. Would that be a  
3 topic of interest to the Biomonitoring Program to hear  
4 from other experts that are in the field who have been  
5 doing this for a while. But for one side is what are the  
6 best ways, and maybe you'd bring in some graphic  
7 designers, how is it that you can convey a topic that  
8 would be very easily understood, you know, methodological  
9 piece on one side.

10 But on the other side I think it's to there --  
11 some investigators are concerned about presenting results  
12 about certain chronic exposures or persistent pollutants,  
13 for instance, for which the participants may not be able  
14 to do anything about it, which may cause stress. There's  
15 a lot of discussion back and forth about (inaudible). We  
16 have the data, everybody would benefit from at least  
17 knowing what they have. On the other side is could it  
18 cause stress, given that they can't do anything about it.  
19 So discussions like those, it could be something that may  
20 be of interest to the Biomonitoring Program.

21 DR. MARTHA SANDY: Certainly. And, you know, we  
22 may hear some updates next year on the project that  
23 Rebecca talked about that's just starting on getting, you  
24 know, focus groups and feedback from the BiomSPHERE  
25 participants as to how they like, and understood, and what

1 they wished we had told them better or described better  
2 for results return.

3 So that -- you may hear some updates in 2025.  
4 And we may in the following year have a session on that.  
5 That's a good idea.

6 PANEL MEMBER SUÁREZ: Yeah. No, that's  
7 wonderful. I -- do you do much work with the Silent  
8 Spring Institute?

9 DR. MARTHA SANDY: Yes. They have -- they have  
10 some really cool ways to convey a lot of the data too.

11 PANEL MEMBER SUÁREZ: So it's worth just looking  
12 at the different perspectives, different people doing  
13 things.

14 DR. MARTHA SANDY: Yes. Yeah. The DERBI Program  
15 for online platform, right, is that the -- so they have  
16 actually presented here maybe 10 years ago, maybe longer.  
17 I can't recall, but they have been at SGP meetings  
18 presenting. So we -- yeah, so we're -- that's certainly  
19 something that we'd definitely consider, yeah.

20 ACTING CHAIR McKONE: All right. Thank you. We  
21 have a comment from the audience.

22 Asa Bradman.

23 DR. ASA BRADMAN: I have just a few comments and  
24 maybe a couple of opinions too. But, you know, a few  
25 things. One, I'm enthusiastic about microplastics too. I



1 feel like that's something that we need to learn more  
2 about. And I don't know if California is unique relative  
3 to the rest of the nation, but there's certainly -- you  
4 know, it seems like every time I open the paper, and see a  
5 new journal article, there's talk about exposure and  
6 health impacts. Just to mention oil and gas, many of you  
7 know we had a conference on air quality and health at UC  
8 Merced a couple of weeks ago. And it was really well  
9 attended. And two or three times community members  
10 brought up concerns about the gas fields in the southern  
11 San Joaquin Valley. There was also some comments about  
12 San Ardo. And I know there's talk about working in the  
13 Los Angeles area and the Central Valley and that seems to  
14 be a real community concern. So just my two bits there.

15 And then, the conference also went well I think  
16 because we had great translators going on. And just  
17 another shout-out to Kimberly. We're going to -- her  
18 dissertation event, the first hour will be online and  
19 we're actually -- her idea and we're going to do it, we're  
20 going to have the same translators to be available online.  
21 And I wonder if biomonitoring programs, you know, for  
22 being streamed that we could consider having a -- you  
23 know, streaming these meetings. And that actually might  
24 open up a larger population. You know, we have 300 people  
25 now on our list for the conference. And it wasn't that

1 expensive. And the logistics, you know, are able to do it  
2 online.

3 So it might be less complicated than we -- than  
4 we think. Of course, there's -- you know, you have to  
5 comply with the State standards, but that could be an  
6 opportunity to kind of expand community engagement. So  
7 just a few thoughts. Thanks.

8 ACTING CHAIR McKONE: Thank you.

9 PANEL MEMBER SUÁREZ: Was that using AI or was it  
10 with --

11 DR. ASA BRADMAN: No. No. It was using some  
12 folks in the valley.

13 DR. MARTHA SANDY: And I think Rebecca wants  
14 to...

15 REBECCA BELLOSO: Could you repeat that question?

16 PANEL MEMBER SUÁREZ: Oh, the question. Oh,  
17 yeah. Okay. Sorry. The question was if AI was used for  
18 the translation and the response was no.

19 (Laughter).

20 DR. MARTHA SANDY: Okay. Sorry. And I thought  
21 Rebecca was going to tell us all that -- remind everyone  
22 that for the SAPEP community meeting, we had it  
23 simultaneously translated into Spanish by live people.

24 ACTING CHAIR McKONE: Real intelligence on our  
25 end.

1 (Laughter).

2 ACTING CHAIR MCKONE: Ulrike, you have a  
3 question.

4 PANEL MEMBER LUDERER: I mean, actually one of  
5 the things that Asa said was exactly what I was going to  
6 say that I think oil and gas exposures -- you know, we  
7 were talking about exposures that are, you know,  
8 particularly -- I mean, not unique, but that occur widely  
9 in California in the oil and gas fields near residential  
10 areas is like an obvious one. So I would also support  
11 that.

12 ACTING CHAIR MCKONE: It's a topic of broad  
13 interest, not just in California, but across the country.

14 I think we've kind of reached the time limit for  
15 this. I don't want to cut people off, but -- yeah.

16 ACTING DIRECTOR EDWARDS: I'll make it quick.  
17 All right. Just a quick aside on microplastics. A bill,  
18 many of you may have heard about it, SB 1147 passed  
19 earlier this year. And it requires OEHHA to do a risk  
20 assessment for the risk associated with microplastics in  
21 drinking water and bottled water. So, that's something  
22 that we're -- we just began a month or two ago. So, FYI.

23 ACTING CHAIR MCKONE: Thank you.

24 Okay. In the five, ten minutes remaining, we do  
25 make a time period available for open public comment.

1 This doesn't have to be related to any talk. Just an open  
2 mic for the public to come up and make short comments.  
3 It's open again to both people in the room and people  
4 online, if there's anyone who wants to make a parting  
5 comment before we depart for the day.

6 Yes. And identify yourself for the transcriber.

7 DR. AHIMSA PORTER SUMCHAI: Dr. Ahimsa Porter  
8 Sumchai. I'm the Principal Investigator for the Hunters  
9 Point Biomonitoring Foundation and Program.

10 In March of 2019, I and other representatives of  
11 the Program met with representatives of OEHHA and  
12 Biomonitoring California to discuss the medical necessity  
13 for establishing a human biomonitoring program for  
14 residents and workers within the one mile perimeter of the  
15 system of federal Superfund sites in heavily  
16 industrialized southeast San Francisco. And in the five  
17 years that have passed, we have created what I believe  
18 might be a model for community exposure science research  
19 that centers on human biomonitoring as well as geospatial  
20 mapping for chemicals and radionuclides of concern  
21 documented to be, you know, detected in concentrations  
22 higher than reference range.

23 And then using information from environmental  
24 geographic information systems and enforcement tools, like  
25 the CalEnviroScreen, the EPA EJScreen, the EPA ECHO

1 enforcement device to, you know, further amplify  
2 information. And then condensing all of this information  
3 and comparing it with questionnaires that are based on the  
4 questionnaires used by the CARE project, and then, you  
5 know, also looking at historical data and environmental  
6 testing for industries and regions that are polluted.

7         So to make a long story short, the most  
8 significant findings, one that I need to bring to your  
9 attention. We screened 15 workers who are cited on the  
10 federal Superfund site within about 300 feet of a  
11 radiation contaminated methane-producing landfill. And  
12 all of them have chemicals of concern documented to be  
13 present in the environment. We are also detecting  
14 manganese. Your detection frequency for manganese in the  
15 urine is 19 percent. Ours is about 80 percent. We have  
16 people with manganese levels that are five times higher  
17 than the level that you define as being for the 95th  
18 percentile.

19         But we're also detecting radionuclides of  
20 concern. We are detecting radioactive biomarkers. And  
21 then in concert with Dr. James Dahlgren the founder of  
22 Pacific Toxicology Laboratories, we have detected products  
23 of nuclear fission and decay in 11 current and childhood  
24 residents, the majority of whom are living within half a  
25 mile of the perimeter of the landfill and the entry to the

1 Naval Radiological Defense Laboratories.

2           So I did want to bring that to your attention. I  
3 believe that I shared with you a book in which these  
4 findings are published called, *The Bomb in Our Bodies*. We  
5 detected potassium-40. In all of the people tested, we  
6 detected plutonium-244 in most of them. We have a family  
7 of four with products of nuclear fission, including a  
8 12-year old boy. We have a woman diagnosed with acute  
9 leukemia given weeks to live who has both uranium-235 and  
10 plutonium-239 detected in extreme concentrations.

11           I do just want to say in closure that the 15 UC  
12 workers who are cited in Building 830 and Building 831 on  
13 the federal Superfund site. These are buildings that were  
14 never cleared by the California Department of Public  
15 Health for human occupancy. This is a violation of the  
16 federal Superfund law, and it is a human rights violation  
17 that these workers are being exposed and have these  
18 chemicals detected in the body.

19           The good news I want to share with you is that  
20 HOPO TX is moving into phase two clinical trials. HOPO TX  
21 is a an oral decorporating agent that was developed by a  
22 team of UC Berkeley scientists, including Rebecca Abergel,  
23 who is a professor of nuclear engineering. HOPO TX in  
24 pill form can get rid of some of the most dangerous  
25 toxins, including uranium isotopes, gadolinium, lead,

1 cadmium. And these researchers are looking at it and I  
2 believe at the Nobel Prize.

3 So we're entering the nuclear age and, you know,  
4 we're looking at the prospect of nuclear war. We need to  
5 be able to do things to get this stuff out of people's,  
6 you know, bodies who are facing this level of  
7 contamination. I think that you should be aware of the  
8 astounding work that these UC Berkeley nuclear chemists  
9 have done.

10 Thank you.

11 ACTING CHAIR McKONE: Thank you.

12 Other public comments. I don't want to cut  
13 people off, but we have kind a reached the -- okay.

14 So the trans--- I just want to end the meeting by  
15 making note that the transcript of this meeting will be  
16 posted on the Biomonitoring California website when it  
17 becomes available. As we saw from Martha Sandy's slide,  
18 the next SGP meeting will take place on March 25th, right.  
19 Not long. March 25th from 1 to 4 p.m. in Oakland. Is  
20 that true?

21 REBECCA BELLOSO: We think so, yes.

22 ACTING CHAIR McKONE: We think so. Okay. Okay.  
23 And information regarding options for attending the  
24 meeting will be available closer to that March meeting  
25 date. I want to thank all the Panel members and the

1 audience and the online participants for coming today and  
2 making an interesting meeting and have a good evening.

3 Thank you.

4 (Applause).

5 (Thereupon the California Environmental  
6 Contaminant Biomonitoring Program, Scientific  
7 Guidance Panel meeting adjourned at 3:47 p.m.)  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



CERTIFICATE OF REPORTER

I, JAMES F. PETERS, a Certified Shorthand Reporter of the State of California, do hereby certify:

That I am a disinterested person herein; that the foregoing California Environmental Contaminant Biomonitoring Program Scientific Guidance Panel meeting was reported in shorthand by me, James F. Peters, a Certified Shorthand Reporter of the State of California, and thereafter transcribed under my direction, by computer-assisted transcription.

I further certify that I am not of counsel or attorney for any of the parties to said meeting nor in any way interested in the outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 22nd day of December, 2024.



JAMES F. PETERS, CSR  
Certified Shorthand Reporter  
License No. 10063